

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FALL BOARD MEETING

Developing a Repository Safety Strategy
With Special Attention to Model Validation

September 14, 1999

Radisson Plaza Old Town Hotel
901 North Fairfax Street
Alexandria, VA 22314
(703) 683-6000

BOARD MEMBERS PRESENT

Mr. John W. Arendt
Dr. Daniel B. Bullen
Dr. Normal L. Christensen
Dr. Jared L. Cohon, Chair, NWTRB
Dr. Paul P. Craig
Dr. Debra S. Knopman, Session Chair
Dr. Priscilla P. Nelson
Dr. Richard R. Parizek
Dr. Donald Runnells
Dr. Alberto A. Sagüés
Dr. Jeffrey J. Wong

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Daniel Fehringer
Dr. Daniel Metlay
Dr. Leon Reiter

CONSULTANTS

Naomi Oreskes

NWTRB STAFF

Dr. William Barnard, Executive Director
Michael Carroll, Director of Administration
Karyn Severson, Congressional Liaison
Vicky Reich, Librarian
Ayako Kurihara, Editor
Paula Alford, External Affairs
Linda Hiatt, Management Analyst
Linda Coultry, Staff Assistant

I N D E X

<u>NO.</u>	<u>PAGE</u>
Call to Order	
Jared Cohon, Chairman, NWTRB	4
Perspective on the Program	
Lake Barrett, Acting Director, OCRWM	14
Proposed Environmental Standard for a Yucca Mountain Repository	
Ray Clark, Team Leader, Yucca Mountain Standards, EPA.	33
Session Chair	
Debra Knopman, Member, NWTRB	57
Perspectives on the Yucca Mountain Project	
Stephan Brocoum, Assistant Manager, Office of Licensing and Regulatory Compliance, Yucca Mountain Site Characterization Office.	57
Repository Safety Strategy-Introduction	
Abe Van Luik, Senior Policy Advisor for Performance Assessment, YMSCO.	72
Comments from the public	
Judy Treichel.	94
Repository Safety Strategy-Implementation	
Michael Voegele, Deputy, Regulatory and Licensing, SAIC, M&O.	101
Implementation of Repository Safety Strategy in TSPA-SR	
Bob Andrews, Manager, Performance Assessment Operations, Duke Engineering, M&O.	136
Repository Safety Strategy-Process Models Reports and Analysis Model Reports	
Mike Lugo, Manager, Process Model Reports, TRW Environmental Systems, M&O	173
Update on Scientific and Technical Investigation	

Mark Peters, Manager, Field Testing and EBS and Repository Design Support Office, Los Alamos National Laboratory, M&O	190
Public Comments	
Walter Matyskiela, Consultant.	232

1 P R O C E E D I N G S

2 (9:00 a.m.)

3 COHON: Good morning. I'm pleased to welcome you to
4 this meeting of the Board. If you'll all take your seats
5 and get your coffee or whatever else you need to make it
6 through this meeting, please do so.

7 My name is Jared Cohon. I'm the Chairman of the
8 Nuclear Waste Technical Review Board and it's my pleasure
9 to welcome you again to this fall meeting of the Board.

10 As most of you already know, perhaps all of you
11 know, but just in case there's one person who doesn't,
12 Congress enacted the Nuclear Waste Policy Act in 1982
13 which, among other things, created the Office of Civilian
14 Radioactive Waste Management or OCRWM within the U.S. DOE
15 and it charged OCRWM, in part, with developing
16 repositories for the final disposal of the nation's spent
17 nuclear fuel and high-level radioactive wastes from
18 reprocessing. Five years later in 1987, Congress amended
19 that law to focus OCRWM's activities on the
20 characterization of a single candidate for a final

1 disposal site, Yucca Mountain, on the western edge of the
2 Nevada Test Site.

3 In those same amendments in 1987, Congress
4 created the Nuclear Waste Technical Review Board as an
5 independent federal agency for reviewing the technical
6 validity of OCRWM's program. The Board is required to
7 periodically furnish its findings, as well as it's
8 conclusions and recommendations to Congress and to the
9 Secretary of DOE.

10 Secretary Richardson has indicated that the
11 decision on Yucca Mountain--that is whether it is suitable
12 for a repository--will be based on solid scientific and
13 engineering practice, data, and analysis. Technical
14 decisions affecting people--and in the final analysis they
15 all do--must involve individual, community, state, and
16 national views and values as to what's important. And,
17 they must be transparent to the public.

18 Our Board meets as a full board two to four times
19 a year. We usually meet in Nevada, often in Las Vegas,
20 and at least once a year in one of the communities in Nye
21 County where Yucca Mountain is located. However, because
22 we do send our findings, conclusions, and recommendations
23 to Congress and to the Secretary, we also try to meet here
24 in Washington once a year. It's my pleasure to extend

1 this special welcome to those from around and inside the
2 Beltway who are able to be with us today.

3 The President of the United States appoints our
4 Board members from a list of nominees submitted by the
5 National Academy of Sciences as specified in the law in
6 1987. The Board is by law and design a highly multi-
7 disciplinary group with areas of expertise covering all
8 aspects of nuclear waste management. I want to introduce
9 to you the members of the Board, and in doing so, let me
10 remind you that we all serve on the Board in a part-time
11 capacity. In my case, I am president of Carnegie-Mellon
12 University in Pittsburgh, my day job as it were. My
13 technical expertise is in environmental and water resource
14 system analysis.

15 John Arendt--John, if you'll raise your hand so
16 people can see you. John is a chemical engineer by
17 training. He's retired from Oak Ridge National Lab, and
18 after doing so, he formed his own company. He specializes
19 in many aspects of the nuclear fuel cycle including
20 standards and transportation. John chairs the Board's
21 Panel on Waste Management Systems.

22 Daniel Bullen is professor of Mechanical
23 Engineering at Iowa State University where he also
24 coordinates the nuclear engineering program. Dan's areas

1 of expertise include nuclear waste management, performance
2 assessment modeling, and materials science. Dan chairs
3 both our Panel on Performance Assessment and our Panel on
4 the Repository.

5 Norm Christensen is deal of the Nicholas School
6 of Environment at Duke University. His areas of expertise
7 include biology and ecology.

8 Paul Craig is professor emeritus at the
9 University of California at Davis. He is a physicist by
10 training and has special expertise in energy policy issues
11 related to global environmental change.

12 Debra Knopman. Debra is director of the Center
13 for Innovation and the Environment at the Progressive
14 Policy Institute in Washington. She's a former Deputy
15 Assistant Secretary of the Department of Interior.
16 Previous to that, she was a scientist in the USGS. Her
17 area of expertise is groundwater hydrology, and she chairs
18 the Board's Panel on Site Characterization.

19 Priscilla Nelson, we're delighted to note, is the
20 newly appointed Director of the Division of Civil and
21 Mechanical Systems in the Directorate of Engineering at
22 the National Science Foundation. She's a former professor
23 at the University of Texas in Austin and is an expert in
24 geotechnical engineering.

1 Richard Parizek is professor of hydrologic
2 sciences at Penn State University and an expert in
3 hydrogeology and environmental geology.

4 Don Runnells is professor emeritus in the
5 Department of Geological Sciences at the University of
6 Colorado at Boulder, and he's a vice-president at Shepherd
7 Miller, Inc. His expertise is in geochemistry.

8 Alberto Sagüés is professor of materials
9 engineering in the Department of Civil Engineering at the
10 University of South Florida in Tampa. I am very pleased
11 to note that Alberto was recently named a Distinguished
12 University Professor at this institution. We congratulate
13 Albert on behalf of the whole Board. Alberto is an expert
14 on materials engineering and corrosion with particular
15 emphasis on concrete and its behavior under extreme
16 conditions.

17 Jeff Wong is chief of the Human and Ecological
18 Risk Division of the Department of Toxic Substances
19 Control in the California Environmental Protection Agency
20 in Sacramento. He is a pharmacologist and toxicologist
21 with extensive expertise in risk assessment and scientific
22 team management. Jeff chairs our Panel on Environment,
23 Regulations, and Quality Assurance.

24 That's our Board. I'm delighted that they all

1 could be here today.

2 Many of you know and have worked with our
3 excellent staff of which we're very proud and for which
4 we're very thankful. They're sprinkled strategically in
5 sartorial splendor there in front of the divider looking
6 their usual keen and incisive selves. I'm delighted they
7 could be here. Bill Barnard--Bill, raise your hand
8 please--is our executive director. Mike Carroll who is
9 not here today because he's covering another activity for
10 the Board is the deputy executive director for the Board.

11 We will have with us or already have with us two
12 consultants for this meeting. I want to point them out to
13 you. Naomi Oreskes sitting with the staff--do that again,
14 Naomi? Thank you. She's an Associate Professor of
15 History at University of California-San Diego. She has a
16 very interesting background with a PhD in both geology and
17 the history of science from Stanford. She's an NSF Young
18 Investigator. She works on scientific methods; in
19 particular model validation which is why she's with us and
20 she'll be participating tomorrow in the Panel.

21 Roger Newman is not yet with us. He's a
22 professor at the University of Manchester Institute of
23 Science & Technology in the UK. He'll be flying in later
24 today. He'll be with us all of tomorrow. He also had a

1 time at Brookhaven and he's an expert in corrosion and
2 he'll also be participating in the Panel discussion
3 tomorrow.

4 That's our staff and our consultants. I want to
5 say a little bit more about where the program is a little
6 bit more about how we'll conduct this meeting.

7 Since our June meeting in Beatty, Nevada, the
8 Board has issued two letters to OCRWM. The first letter
9 addressed the OCRWM's repository design efforts and
10 pointed out that some critical uncertainties about the
11 performance of the proposed repository could be reduced in
12 the opinion of the Board if a design were chosen that kept
13 temperatures below the boiling point of water. We had
14 other things to say, but that was the key point we made in
15 that letter. The second letter addressed the OCRWM's
16 ongoing technical investigations. Copies of both letters
17 are available on the tables outside or inside? Outside?
18 Outside. If you're interesting in getting copies of those
19 letters, they're on the table outside the meeting room.
20 They're also available from our website if you prefer to
21 access them that way.

22 This meeting which we start right now is a very
23 important one. All of our meetings seem to be important,
24 but as we approach 2001, they seem to increase in

1 importance and this is no exception. We're going to have
2 a very full two days of presentations and discussion on
3 significant and timely topics. We're very fortunate for
4 Lake Barrett, the Acting Director of OCRWM, to be with us
5 today. You'll be hearing from him shortly. He will be
6 providing his perspective on the program including some
7 thoughts of what is happening on Capitol Hill and on the
8 budgetary prospects for the program. Lake, we're
9 delighted you could be with us again and I'll call on you
10 again in a minute.

11 In addition, you will be hearing from Ray Clark
12 who represents the Environmental Protection Agency. The
13 EPA, as many of you know, has recently released a proposed
14 environmental standard for Yucca Mountain and we're very
15 pleased that Captain Clark could join us today to describe
16 the EPA's proposal.

17 Most of the rest of today will focus on OCRWM's
18 evolving repository strategy. The OCRWM issued its first
19 waste isolation and containment strategy slightly more
20 than three years ago. It revised it about a year and a
21 half later. Since that time, as you probably know, the
22 viability assessment has been completed. Insights from
23 that exercise are now being incorporated into a new
24 strategy. Steve Brocoum and Abe Van Luik will talk about

1 the status of the repository strategy and will provide a
2 context for the more detailed talks that will follow them.

3 Without commenting on its substance, let me note
4 that the Board is pleased that OCRWM has maintained a
5 repository safety strategy as a living document. We see
6 that as very positive; a document that keeps abreast with
7 new information being developed from field and laboratory
8 investigations. The Board believes that the strategy is a
9 critical piece in the OCRWM's efforts to make a safety
10 case that is clear, transparent, and technically rigorous.

11 Tomorrow the emphasis of the meeting will shift
12 somewhat. After hearing from Jean Younker about the Yucca
13 Mountain Project's plans for testing and analysis prior to
14 site recommendation, we'll be concentrating on the
15 question of model validation which we feel is a very
16 critical subject. Given the central role now being played
17 by quantitative performance assessment, the question of
18 the validity of the models that underlay those
19 calculations is obviously important. We'll be hearing
20 three presentations from the OCRWM in this area. The
21 first will be a general overview of the topic. Then, we
22 will hear about two specific models, one dealing with
23 seepage into the repository drifts and the other dealing
24 with corrosion of the outer layer of the waste package.

1 Following, those presentations, we will have an
2 organized round table discussion on model validation that
3 I referred to before. The participants in that discussion
4 include some members of our Board, several technical
5 experts from inside the project, and some from outside,
6 independent experts on the subject.

7 Finally, let me say a few things about the
8 opportunities we're providing for public comment and
9 interaction during the meetings. It's something that's
10 extremely important to the Board. It's something that
11 we've worked on and always tried to perfect our
12 interaction with the public and given the public as many
13 opportunities as possible to participate in our meeting.
14 Even our configuration of tables to give a more
15 interactive feel to it is something that we've paid
16 attention to.

17 We're planning three public comment periods
18 during the course of the next few days. One at 11:30
19 today and one at 4:30 today. The third one will be
20 tomorrow at 11:30. Those wishing to comment should sign
21 the Public Comment Register at the check-in table where
22 the two Lindas are stationed. That's Linda Hiatt and
23 Linda Coultry. They'll be glad to help you in signing up
24 and being prepared to comment publicly when the time

1 arises. Let me point out and I'll remind you again later
2 that depending on the number of people signing up, we may
3 have to set a time limit on individual remarks.

4 As an additional opportunity for questions and
5 continuing something we've tried out successfully at our
6 last two meetings in Nevada, you can submit written
7 questions to either Linda during the meeting. We'll make
8 every effort to ask these questions; that is the chair of
9 the meeting at the time will ask the question during the
10 meeting itself rather than waiting for the public comment
11 period. We'll do that, however, only if time allows.
12 And, as I pointed out already, we have a very tight agenda
13 and it very well may be that time will not allow this. If
14 that's the case--that is there is not adequate time during
15 the meeting itself--we will ask those questions during the
16 public comment period.

17 In addition to written questions to be asked by
18 us, we always welcome written comments for the record.
19 Those of you who prefer not to make oral comments or ask
20 questions during the meeting may choose this other written
21 route at any time. We especially encourage written
22 comments when they're more extensive than our meeting time
23 allows.

24 Finally, I need to offer our usual disclaimer so

1 that everybody is clear on the conduct of our meeting and
2 what you're hearing and its significance. Our meetings
3 are spontaneous by design. These are not scripted events
4 even though I'm reading from prepared remarks. These are
5 not scripted events. Those of you who have attended our
6 meetings before know that the members and especially these
7 members of this Board do not hesitate to speak their
8 minds. Let me emphasize that is precisely what they're
9 doing when they're speaking. They're speaking their
10 minds. They are not speaking on behalf of the Board.
11 They're speaking on behalf of themselves. When we are
12 articulating a Board position, we will make that clear in
13 our comments. Otherwise, we're speaking as individuals.

14 Well, with those opening remarks out of the way,
15 it's now my pleasure to welcome back to the Board Lake
16 Barrett, the Acting Director of OCRWM. Lake?

17 BARRETT: Thank you, Jared. Good morning, Mr.
18 Chairman and members of the Board. It's a pleasure to be
19 here as always. I actually think there are probably more
20 people to be dealt with when we have these meetings in Nevada
21 than there is when we have it in the Washington area.

22 First of all, I would like to provide my comments
23 for a broad overview of the program. There will be a lot
24 of details that we're going to go through later on with

1 the staff. So, I'll try to be very brief on that.

2 First, I would like to make an important
3 announcement related to the management of the program.

4 Last month, President Clinton nominated Dr. Ivan Itkin to
5 be the Director of this office. Dr. Itkin has earned his
6 PhD in mathematics at the University of Pittsburgh and has
7 worked as a nuclear scientist for Westinghouse
8 Corporation's Bettis Atomic Power Laboratory in the design
9 of nuclear propulsion systems for the U.S. Navy. For the
10 past 25 years, he has served as a Democratic legislator in
11 the Pennsylvania House of Representatives rising to be the
12 Democratic Whip and he was also the Democratic Party's
13 nominee for Governor in 1998. The Senate is scheduled to
14 hold a hearing for he and two other Interior nominees
15 tomorrow morning and we look forward to welcoming him as
16 soon as he's confirmed with which we hope is very soon.

17 Some other developments in the program since last
18 time I talked with you. On August 6, we initiated the
19 distribution of the draft Environmental Impact Statement
20 for Yucca Mountain. We believe that was a very major
21 milestone for us. In accordance with our philosophy of an
22 open, transparent program, we have also placed the
23 document on our Internet website along with the references
24 to facilitate broad dissemination of the information to

1 all. The Notice of Availability was published in the
2 Federal Register on August 13 which officially started the
3 180-day review comment period. The 180-day comment period
4 responds to requests from the State and from the local
5 government units for the additional time for all parties
6 to review and comment on the document. We will hold
7 numerous public hearings between later this month and in
8 January of next year with the public comment period
9 closing in early February of 2000. We expect to publish
10 the FEIS late in 2000 probably commensurate with the site
11 recommendation consideration report that Dr. Brocoum and
12 others are briefing you about in some detail later today
13 and tomorrow.

14 The draft EIS indicated that the Department's
15 preferred alternative is to proceed with the proposed
16 action to construct, operate, and monitor, and eventually
17 close and seal the geological repository at Yucca Mountain
18 if the site is suitable under law. This analysis of the
19 repository performance under a variety of implementing
20 alternatives indicates that the Yucca Mountain repository
21 would pose little risk to future populations in the
22 vicinity of Yucca Mountain and affirms conclusions of the
23 viability assessment. The EIS also includes analyses of
24 transportation of spent fuel to Yucca Mountain under

1 different operations methods. These analyses add a key
2 technical element to the public debate over the management
3 of spent nuclear fuel and demonstrates that the risk of
4 transporting spent fuel are low. Our analysis of the
5 transportation impacts is consistent with the analysis
6 done by the Nuclear Regulatory Commission to support its
7 rulemaking on reactor life extension, as well as other
8 analyses done by the Department on transportation of fuel
9 in other programs.

10 The draft EIS also analyzed the consequences of
11 continued storage of spent fuel and high-level radioactive
12 defense waste at current sites by the nuclear power
13 industries and the Department of Energy under what is
14 referred to as a no action alternative. Because it would
15 be highly speculative to attempt to predict future events,
16 we illustrated one set of possibilities by focusing our
17 analysis on the no action alternative on two scenarios;
18 continued storage with effective institutional controls
19 for 10,000 years which is the same period of focus or the
20 primary focus for the repository and continued storage
21 with no effective institutional controls after 100 years.

22 These analyses cannot be viewed as accurate predictions
23 of the future scenarios. We recognize that neither
24 scenario would be likely if there were a decision not to

1 develop a repository at Yucca Mountain. However, they are
2 part of the draft EIS analysis to provide a baseline for
3 comparison to the proposed actions consistent with the
4 Nuclear Waste Policy Act and the National Environmental
5 Policy Act, as well.

6 On August 18, another significant milestone in
7 the Nation's geological disposal program was achieved when
8 the EPA released its proposed site-specific rule for
9 disposal at Yucca Mountain. The Department is reviewing
10 this proposed rule and will submit comments as part of the
11 rulemaking process. The Department's primary concern is
12 that the technical aspects of the rule should not only
13 protect the public health and safety and the environment,
14 but also be a fair test of the safety of a repository that
15 is demonstrable in a rigorous licensing proceeding. I
16 understand that Ray will be here this afternoon and speak
17 to you more in detail.

18 The EPA's proposal responds to the 1992 Energy
19 Policy Act's direction to develop a site-specific
20 regulatory framework for Yucca Mountain. The Nuclear
21 Regulatory Commission proposed a site-specific licensing
22 regulation earlier this year to provide the technical
23 requirements and criteria to implement the site-specific
24 standard. Together, these two regulations should provide

1 a logical and complete set of regulatory requirements for
2 evaluating the Yucca Mountain repository focusing on its
3 ability to protect the public health and safety and the
4 environment. Consistent with its regulatory approach, the
5 Department submitted a new site-specific revision to its
6 siting guidelines which was 10 CFR 960 for geologic
7 repositories to the Office of Management and Budget for
8 interagency review also in August. This version responds
9 to public comments that we received in our 1996 proposed
10 revision and is consistent with the updated proposed
11 standards from the EPA and the technical requirements and
12 criteria from the Nuclear Regulatory Commission. This
13 revision uses the latest analytical methods and best
14 science available in order to support a site
15 recommendation decision. After interagency review, we
16 intend to issue these revisions for public comment period
17 later this year.

18 Now, turning to the program budget. As I noted
19 in June, the Administration submitted a fiscal 2000 budget
20 request of \$409 million for the program. The Senate
21 appropriations included \$355 million for nuclear waste
22 disposal which is 54 million less than our request. The
23 House appropriations bill provides \$281 million which is
24 \$128 million less than our request. We expect that the

1 differences will be resolved by conference committee
2 within the next few weeks.

3 In light the funding is likely to be less than
4 that requested, the Department is currently reevaluating
5 activities taking into account the advances in the
6 reference repository and waste package designs. We are
7 prioritizing the activities most important for developing
8 information needed to support a secretarial decision on
9 whether or not to recommend the site to the President. We
10 will emphasize the science and engineering activities that
11 most effectively reduce the level of uncertainty in the
12 performance of the repository. Building on the momentum
13 achieved in the last four years, our objective remains to
14 develop the documentation to determine if Yucca Mountain
15 is suitable to support a Secretarial decision in 2001, and
16 if the site is recommended, a license application in 2001.

17 In our prioritization the site recommendation is more
18 important than the license application at this time in
19 prioritizing the work. However, it is probable that if
20 the budget reductions are significant, our current program
21 schedule milestones will have to be adjusted.

22 Now, turning to legislation. In June, I spoke to
23 you about the comprehensive bills on the management of
24 spent fuel and nuclear waste that were introduced in both

1 houses of Congress; H.R. 45 and S. 1287. While both bills
2 have been passed by their respective committees, there has
3 been no formal activity since then on either bill. There
4 is an understanding that some of the proponents of S. 1287
5 would like to bring it to the floor this month or next
6 month. There's a lot of important business before the
7 Congress and I'm not sure when that will be addressed, you
8 know, if it will be, and in this time period. The
9 Administration opposed H.R. 45 because it would place
10 interim storage facility in Nevada prior to completion of
11 the scientific and technical work necessary to determine
12 if a final repository be located there. While the
13 Administration has not developed an official position on
14 S. 1287, the Secretary has emphasized the Administration's
15 objection to any bill that precludes the EPA from
16 establishing standards for Yucca Mountain which S. 1287 in
17 its present state would do.

18 Now, turning to Board reports. We will issue
19 shortly the two reports the Board issued in April on the
20 viability assessment and the Board's '98 activities.
21 They've been completed by our office and they are awaiting
22 clearance in the Secretary's office. So, I suspect in the
23 next couple days we will send those to you. We have just
24 responded to your July letter regarding our evaluation of

1 alternative repository designs and are preparing the
2 response to your August letter on the scientific
3 investigations on the program. Related to the Board's
4 comments on alternative designs, I would like to now
5 discuss some of the background on what we've done on the
6 selection of an alternative design.

7 We appreciate the Board's recognition that a
8 comprehensive and resource intensive effort conducted by
9 our management operating Management and Operating
10 contractor has resulted in a much better understanding of
11 the relative importance of the many factors involved in
12 repository design. We have used the results from this
13 evaluation of alternative designs and the results of
14 subsequently analyses performed by the M&O, as well as
15 policy program considerations to select the next
16 generation design concept that will be used in developing
17 our evaluation for the site recommendation. This decision
18 is based on the technical work of the M&O integrated with
19 programmatic policy considerations of flexibility,
20 fairness, and equity within and between generations.

21 We agree with the Board the repository design
22 concept and, in particular, the temperature regime
23 associated with that concept, can effect the cumulative
24 uncertainty in estimates of long-term repository

1 performance. We also recognize that this uncertainty may
2 affect the confidence and decisions regarding the
3 suitability of the Yucca Mountain site. We have sought to
4 select a design to specify conditions on the
5 implementation that are responsive to the Board's concern
6 while balancing all significant factors including long-
7 term public safety, inter- and intra-generational equity,
8 worker safety, and cost. We have emphasized the need for
9 flexibility to insure that the scientific and engineering
10 data gathered throughout the site characterization,
11 construction, operation, and monitoring, as well as
12 evolution in national policies can be accommodated through
13 reasonable changes in the repository design or the
14 repository operational concept.

15 The concept we selected is based on the design
16 alternatives recommended by TRW, but also includes the
17 following, flexibility-enhancing conditions on its
18 implementation.

19 One, the design will permit the repository to be
20 kept open with only routine maintenance for approximately
21 125 years from initiation of waste emplacement which is
22 approximately the time necessary for the ventilation
23 system to remove sufficient heat to keep the drift walls
24 below boiling following closure.

1 Two, the design will permit the repository to be
2 closed during the period from 50 years to approximately
3 125 years or more from the start of waste emplacement.
4 The design will not preclude keeping the repository open,
5 with appropriate maintenance and monitoring, for up to 300
6 years following initiation of waste emplacement.

7 Three, the sensitivity of postclosure performance
8 in the repository system to uncertainties associated with
9 a coupled thermally-driven processes will be examined for
10 preclosure ventilation durations of 50 and also 125 years.

11 The models that are the basis for the evaluation
12 of the thermal conditions will be refined to reduce
13 conservatism. The design options that can increase the
14 efficiency of heat removal will also be evaluated as we go
15 forward.

16 The selected design concept provides the
17 flexibility to adjust emplacement conditions and the
18 ventilation design and the duration of that ventilation to
19 keep the rock temperatures below 96 and as cool as
20 reasonably achievable given the technical, institutional,
21 and cost considerations. It also provides the flexibility
22 to increase rock temperatures should new scientific and
23 engineering data show that such an alternative would be
24 beneficial.

1 The design concept we selected also preserves the
2 flexibility for future generations to determine whether to
3 close the repository promptly or to keep it open for as
4 long as 300 years with appropriate maintenance and
5 monitoring based on their judgments regarding the
6 significance of the uncertainties. The closure assumption
7 of 50 years is consistent with the retrievability period
8 required by the Nuclear Regulatory Commission and should
9 provide adequate time to complete the performance
10 confirmation program prior to repository closure.

11 Now, I would like to turn to our site
12 recommendation program. The program is now working toward
13 completing the technical documentation necessary to
14 evaluate the site suitability to support a Secretarial
15 decision of whether or not to recommend the site to the
16 President. Our selection of the next generation design
17 concept was a significant step in that goal. We are
18 updating the repository safety strategy and refocusing our
19 site characterization efforts to reflect this design
20 evolution. We expect that some work planned in the
21 viability assessment can logically be eliminated or
22 deferred to the performance confirmation program as a
23 result of our design enhancements. we are emphasizing
24 science and engineering activities that most effectively

1 reduce the level of uncertainty in the performance of the
2 repository and which are also needed to improve our
3 confidence in decisions regarding this suitability of the
4 Yucca Mountain site.

5 We are continuing to gather and analyze relevant
6 data, some of which you will hear about later today from
7 Mark Peters. Following completion of the detailed process
8 models to describe the system performance and the
9 abstraction of these models that are used in a performance
10 assessment, we will generate another major iteration of
11 the total systems performance assessment. This
12 information will be the basis for the site recommendation
13 consideration report which we plan to issue for public
14 comment in November of 2000. We will then refine the
15 process models and the total system performance assessment
16 and use the refinements, together with the comments from
17 the public, the States, the Native American Indian Tribes,
18 Nuclear Regulatory Commission, and this Board as input in
19 that process in those final revisions.

20 The program's work remains focused on the
21 activities that we feel are most important to developing
22 the information needed to determine if the site is
23 suitable, and if suitable, support the Secretary's
24 decision on whether or not to recommend the site to the

1 President. The viability assessment followed by our
2 selection of a design concept for the next phase of the
3 project activities and the corresponding update of the
4 repository safety strategy has clarified the remaining
5 work and illuminated those technical issues that need to
6 be further addressed. We have started this remaining
7 work, and input from this Board regarding the technical
8 and scientific validity of these efforts will be very
9 important as we proceed toward the completion of the site
10 characterization phase of this program.

11 Those conclude my remarks and I would be pleased
12 to address any questions that the Board may have.

13 COHON: Thank you very much, Lake. I just want to
14 emphasize for the record that we have a wonderful new
15 design standard as cool as reasonably achievable which, in
16 fact, of course, you know, fashion designers have been
17 following for many years and now DOE has caught up.
18 That's great.

19 Let me just use the prerogative of the Chair to
20 ask you a question. It's good to hear that you're going
21 through the effort of prioritizing activities in light of
22 the uncertain budget situation. Could you tell us what
23 happens if you get the House number?

24 BARRETT: That would be a significant budget

1 reduction which would result in schedule changes. Our
2 approach on this is to prioritize the work to support the
3 first national decision which is the suitability of the
4 site which we think is the most important and defer
5 license application work that we can catch up. For
6 example, we've already taken steps within the family and
7 that includes the TRW contractors to defer preclosure work
8 that's necessary for a license application. So, we're
9 expecting somewhere between the 280 and the 355. We are
10 hoping that it's very close to the center mark in the mid-
11 300s. With that, we believe that we would defer the
12 preclosure work and can basically maintain the set of
13 necessary scientific postclosure work which includes the
14 natural sciences and corrosion, things that the Board is
15 focusing on, to hold the site recommendation to schedule.

16 As you start to go below, say, the 340 or 330 usable
17 money--this is after you take the State and the County
18 monies out which will be a national policy statutory
19 decision; we've asked for that money--then, we may have to
20 start deferring the site recommendation depending on what
21 it is. So, we'll have to look and see where that would
22 be. We have said that if we get the 380, we believe we
23 can get the 380 level, we can probably come close to
24 minimal delay on the license application and catch back

1 up. If it starts to impact the site suitability
2 postclosure, that is hard to catch back up again. So,
3 we'd see slips ranging up to a year.

4 Now, the House situation at 281, we would have to
5 reduce staff by almost 1,000 people--we have about 2200 or
6 so on the staff now--the reason being, there's termination
7 costs. So, when you have to come down that much, it is
8 very significant impacts. I would expect that a license
9 application on that scenario would be delayed about a year
10 and very likely the suitability would be delayed a
11 commensurate amount also because our first three months
12 are going to be just basically keeping from being anti-
13 deficient. We went through this back in '96. It was
14 traumatic then and this would be traumatic again if that
15 case were to happen. I am very hopeful that the House of
16 Representatives can deal with their allocation issues and
17 that the results will be something closer to the Senate
18 situation. We are all very hopeful of that, but we'll
19 have to wait and see what happens over the next several
20 weeks.

21 COHON: Thank you, Lake. Other questions from Board
22 members? Debra Knopman?

23 KNOPMAN: I don't want to go through every budget
24 item, Lake, but I think it would be helpful to clarify

1 where something like further work on transportation
2 studies routing would come in under these various budget
3 scenarios that you've just gone through.

4 BARRETT: You know, we're trying to hold the site
5 recommendation schedule. The site recommendation schedule
6 requires the final Environmental Impact Statement to be
7 done. We are funding the hearing process. I think we're
8 going to have, you know, 17 public hearings we're going to
9 do. We will have public information meetings, you know,
10 basically as requested and a reasonable request we will
11 grant. So, what's necessary to support to the FEIS is a
12 high-priority work. It goes with the site recommendation.

13 We need to have a balanced program. I referred to this
14 to staff. It's sort of like a chain picking up a heavy
15 load. You want to make every link of the chain the same
16 strength. If you have one length that's bigger than the
17 other link, it doesn't matter and the chain is only as
18 strong as the weakest link. So, the FEIS work needs to be
19 supported for going on with site recommendation along
20 with, say, the natural sciences, the engineering, the
21 whole thing.

22 So, as far as additional transportation work, we
23 will do what's necessary for the FEIS and we'll go into
24 the public hearing process.

1 COHON: Dan Bullen?

2 BULLEN: Lake, when you introduce a concept or a term
3 like "as cool as reasonably achievable", you immediately
4 draw a parallel to as low as reasonably achievable with
5 respect to dose base protection and radiation workers and
6 the public. And, I guess, the question that I raise and
7 maybe it will be answered in later presentations, is how
8 do you define what reasonable might be? Do you do a risk
9 basis estimate using the performance assessment models or
10 does it turn out to be a cost benefit analysis? What
11 kinds of things define reasonable or how do you envision
12 reasonable to be defined for as cool as reasonably
13 achievable?

14 BARRETT: That's what we did as we went through this.
15 We didn't put \$1000 per man-rem, and those of you who can
16 go back to Appendix I to Part 50 through, you know, those
17 kinds of days, it is not a quantitative analysis. You
18 cannot quantify these. It is a qualitative judgment where
19 you are balancing the programmatic flexibility
20 considerations. Following the Board's letter from July,
21 we did this in an open documented way. That is in the
22 Board actions that I've signed to balance that. That's
23 really what it is. It is not an analysis, per se; it is a
24 judgment that is written down as to why we chose and we

1 weigh very heavily the flexibility for future generations
2 in that and not to foreclose options through a design
3 requirement at this time. There is not a mathematical
4 algorithm of the old \$1000 per man-rem and that never
5 worked then and it doesn't work now.

6 BULLEN: Thank you.

7 COHON: Other questions? Richard Parizek?

8 PARIZEK: It's a question about the selection
9 activities that might be postponed for a validation stage.
10 Some of this might be dealing with some uncertainty, some
11 of it might be work that you really couldn't do up front,
12 but may be quite critical as to when it may create some
13 uncertainty about the suitability of a site. You've got
14 to make a recommendation about suitability on schedule.
15 If you postpone some activities until after site
16 recommendation, that might be the fatal flaw or create a
17 great uncertainty, you know, in the program. Kind of sort
18 that out. Will we hear about your priorities and how
19 these are decided upon at this stage because it's quite
20 critical?

21 BARRETT: Yes.

22 PARIZEK: --sure that at the end point that you
23 haven't postponed some key things that really should have
24 been addressed up front before site recommendation.

1 BARRETT: Yes, you'll hear more about that as
2 basically it's the application of the repository safety
3 strategy. It's kind of where that shows as we're guided
4 by the TSPA work and the uncertainties in the TSPA, as the
5 Board has pointed out. We desired to do the \$409 million
6 suite of work. Well, our desire is not being met. Very
7 seldom in life do I find in my personal situation that my
8 desire is always met. Now, can we do what is necessary
9 for a suitability? Now, what is necessary? We must do
10 that floor. Now, what is necessary versus what is
11 desirable? And, desirable can be put into the performance
12 confirmation because this is an easily reversible process.
13 So, as we make a very important national decision if the
14 site is suitable and go through that political process as
15 laid out in the Act, that is a very solemn decision. But,
16 it is not a reversible decision if science tells us
17 something different. But, there must be adequate
18 uncertainty to sustain that decision for us to recommend
19 to the Secretary, the Secretary to recommend to the
20 President, for the State of Nevada Governor and the State
21 Legislature to do their actions. So, we need to have an
22 adequate base. We're all struggling. I'll say we are
23 struggling trying to determine what is the most important,
24 what is the absolutely necessary work that must be done,

1 what is desirable in confirmatory work that can be done
2 later? And, we don't know quite at what level--if it's
3 340, 330, 320--where we say, no, in our judgment we did
4 not do the necessary work for the suitability. So, we
5 have deferred almost all other activities focusing on
6 basically the postclosure regime. Prioritization is to do
7 the suitability which includes doing the FEIS, but we've
8 deferred pretty much all general transportation work.
9 We've deferred almost all repository surface work. I am
10 trying to do all my issues dealing with the lawsuits and
11 the utilities with just a very small skeleton staff in
12 Washington and trying to isolate the Yucca Mountain
13 Project from that trauma so they can focus on Job One
14 which is are we doing sufficient scientific work to
15 address the suitability.

16 The Board's views, I think, is extremely
17 important and this is a very timely meeting as we are
18 basically getting our algorithms together so that we do
19 the most important work and then we're going to decide
20 after we do the most important work is that work
21 sufficient to support that decision? That's the process
22 we're going through this fall. So, it's timely that you
23 see, what I call, the application of the repository safety
24 strategy using the TSPA and the prioritization of the

1 work. And, we must and I think the Board in all practical
2 purposes, if we're not satisfied that we've done the
3 necessary work, then the suitability decision would have
4 to be deferred until the necessary work can be done.

5 COHON: Thank you very much, Lake.

6 BARRETT: Thank you.

7 COHON: I call on now Ray Clark to talk about the EPA
8 standard. Ray Clark is a Captain in the U.S. Public
9 Health Service who has been detailed to the U.S. EPA in
10 the Office of Radiation and Indoor Air. Welcome, Captain
11 Clark.

12 CLARK: I'd like to thank the Board for inviting us
13 here today. It's been long in coming, but it's finally
14 here. It was nice to hear Lake say that EPA has proposed
15 a standard rather than when EPA proposes a standard.

16 Before I get started, I wanted to recognize two
17 of the people from my office that are here with me. Dr.
18 Ken Czyscinski is in the back back here. He's our
19 geologist/geochemist. Frank Marcinowski is the acting
20 center director for Center for Waste Management and Deputy
21 Director of the Radiation Protection Division.

22 Since you squeezed us into the agenda anyway,
23 I'll really try to fly through these. I'll provide a very
24 short background on how we got to Yucca Mountain

1 Standards, go through some of the provisions and a little
2 bit of the rationale on how we reached the proposed
3 standards that we have, and then very quickly the plans
4 for the future of the final standards.

5 As the Chairman said earlier, the Energy Policy
6 Act, of course, gave us the authority to set these site-
7 specific standards. I was also told that the contract was
8 a National Academy of Sciences to provide technical
9 recommendations on the bases for the standards. We did do
10 that. They gave us their findings and recommendations and
11 I'll mention that a little bit later. Finally, the NRC
12 licensing regulations which have now turned into Part 63
13 are to be consistent with the EPA standards. We did
14 propose those, at least published in the Federal Register
15 on August 27.

16 One of the earliest questions that came up in our
17 deliberations was how do we take into account the NAS
18 report? The Energy Policy Act said that our standards
19 were supposed to be based on and consistent with the NAS
20 findings. We finally arrived at the conclusion that we
21 were not absolutely bound to what the NAS said, but of
22 course, do weigh heavily, particularly in the technical
23 areas where NAS is obviously the strongest. The NAS panel
24 did help us out because they did a fairly careful job of

1 separating policy from technical issues, at least that was
2 our impression. So, therefore, a lot of their findings
3 were written as suggestions or as thou shalt or thou shalt
4 not.

5 The second thing was that Congress directed us to
6 set standards by rule. So, by that, we think by rule
7 usually means you go through a public rulemaking process,
8 and obviously if you're familiar with the report, there
9 are many places where they tell us or the NAS even says go
10 through a rulemaking.

11 The final thing is that setting standards such as
12 this is a federal function and not getting high-handed
13 here, but if we were to assume that whatever NAS said was
14 a standard, it's possibly getting into constitutional
15 issues. But, I'm certainly not a lawyer, I'm not an
16 engineer, as I said. So, those are the bases of how we
17 weigh the NAS report.

18 A big consideration also is our Part 191 generic
19 standards which, of course, do set a precedent for
20 protection. They have been used for certification of the
21 WIPP facility and also being used for approval of the
22 greater confinement disposal facility.

23 Getting to the standards themselves, as you can
24 see, we have two subparts, one storage and one disposal.

1 The NAS didn't address storage, at all, in their report.
2 For disposal, individual protection standards, human
3 intrusion standards, groundwater protection, and a couple
4 of other provisions that limit some of the considerations.

5 As far as storage, storage is also taken to mean as
6 management both on the surface and in the repository
7 itself. The proposed standard is 150 microsieverts or 15
8 millirem for the English speaking people in the crowd.
9 That is committed effective dose equivalent. We divided
10 the applicability of rules between in the repository and
11 outside the repository. Again, a legal interpretation,
12 the Energy Policy Act says that we're supposed to set
13 standards for storage and disposal in the repository. So,
14 we took that literally. So, the new standards would cover
15 storage in the repository or management. The Part 191
16 generic storage standards cover the surface operations
17 that occur within the Yucca Mountain site. Those two
18 would be combined and that's what would be compared with
19 the 15 millirem standard.

20 This level--and we'll get into this again shortly
21 and I'll just point it out now--is also consistent with
22 Part 191, of course, since we're using it and it's also
23 the NAS suggested annual risk level of 10^{-6} to 10^{-5} which is
24 20 to 200 microsieverts at least in our system.

1 Moving on to the disposal standards which is
2 probably of more interest here than the other, again we
3 have 150 microsieverts under the effective dose through
4 all pathways over 10,000 years. One place we've not
5 followed the NAS recommendation was we've used what we've
6 called a reasonably maximally exposed individual as
7 opposed to a critical group which is what NAS recommended.

8 This individual is a theoretical person who is in the
9 highest exposed group--and this is the theory behind it--
10 in the highest exposed group, but not the maximally
11 exposed individual. We're trying to keep analyses into
12 what would be reasonably expected in an actual situation.

13 The way you arrive at that is to set one or a few of your
14 parameter values at their maximum. These are the exposure
15 parameters and set the rest at a mean or median value, an
16 average value.

17 So, what we've proposed is that this individual
18 be located near the Lathrop Wells intersection. I suspect
19 most people here know roughly where that is. It's about
20 20 kilometers south of the repository. We think that
21 using this method of calculating a dose puts you in the
22 same place as the critical group approach that NAS
23 recommended. The other reason for not using critical
24 group is because EPA has never used it in the past;

1 however, there have been programs which have used
2 reasonably maximum individual in other areas of the
3 agency. We'll get to that in a minute. This person would
4 be representative of the current residents in Amargosa
5 Valley; in other words, physiology, lifestyle, all those
6 sorts of factors that are considered. One of the maximum
7 values that we would direct is that they drink two liters
8 per day of groundwater. I should point out, I guess, that
9 this Lathrop Wells is also one of the other factors that
10 would be considered to be one of the maximum parameter
11 values.

12 I've already touched on a little bit of this. In
13 fact, probably most of it. This gives just a little more
14 explanation of why we chose RMEI rather than critical
15 group and I think I've hit on most of that. In the
16 interest of time, we'll skip on to the next one.

17 Human intrusion standards. Here, the NAS said
18 human intrusion or assumed human intrusion will occur.
19 It's just you can't do a--well, remove it from a
20 probabilistic assessment. Just assume that it occurs and
21 it occurs once or twice or whatever you recommend and do
22 the analysis to test the resilience of the repository.
23 And, here's a place where they recommended that we use
24 public rulemaking process to establish this scenario. The

1 limit that we've put on this which again follows NAS
2 recommendation is 150 microsieverts per year--that should
3 be CEDE, as well; I see that got left off--within 10,000
4 years. The scenario is a single intrusion through a waste
5 package as a result of water exploration. We specifically
6 say water exploration to set some sort of a limit on
7 borehole size. Borehole goes clear to the aquifer and you
8 assume that it is not carefully sealed. The timing in our
9 scenario, the intrusion would occur as soon as the
10 canister or waste package, more properly I guess, is
11 sufficiently degraded that the drillers wouldn't recognize
12 that there's a waste package there. I guess to follow up
13 on that a little bit, in other words, we didn't set a
14 particular time for the intrusion. It would be up to DOE
15 and NRC working together to establish that.

16 An alternative approach is also in the proposal.
17 It depends on the timing of the intrusion which, in turn,
18 depends on the corrosion of the canister, of course. This
19 intrusion could not occur prior to the 10,000 years. We
20 would require DOE to put the results of their analyses in
21 the Yucca Mountain EIS. Now, obviously, we probably
22 wouldn't get them to put it in the first draft of the EIS,
23 but presumably there will be a final EIS, as well as most
24 likely supplemental EISs as time goes along. This would

1 not require NRC consideration if it was shown to occur
2 after 10,000 years in the licensing application, at least.

3 One of the more fun ones, groundwater protection
4 standards. We've proposed the limits to be the maximum
5 contaminant levels as established under the Safe Drinking
6 Water Act. These are the same limits that are established
7 or used by the agency in other programs, non-radioactive
8 waste disposal and various other areas. These would be in
9 a representative volume of groundwater and we will get to
10 that in a minute or two what that means. That bottom
11 bullet just lists the MCLs.

12 Why have separate groundwater standards, a
13 question we've been asked once or twice. First of all,
14 it's the Administration policy to protect ground water and
15 the way that is currently being done is to use the MCLs as
16 groundwater protection. The intent is to protect the
17 current and future uses of the resource. Part of the
18 philosophy is also it's a lot easier to prevent the
19 contamination than to try to detect it, especially in a
20 large aquifer--well, I'm sorry, in an aquifer and it's
21 also cheaper to do that rather than having a facility
22 declared possibly a SuperFund cleanup site or something in
23 the future and then try to go in and clean that up. It's
24 also, as I mentioned earlier, consistent with other

1 programs. Part 191 has separate groundwater standards.
2 The WIPP certification was based on Part 191. So,
3 therefore, it used groundwater standards. The GCD program
4 is subject to some groundwater standards; albeit not in
5 the same form, there is provision there. Hazardous and
6 municipal waste disposal, as I referred to earlier on the
7 underground injection control program, all use MCLs as
8 examples.

9 What's this thing, representative volume of
10 groundwater? What are they doing now? Realizing that
11 it's difficult to model groundwater, particularly in a
12 fractured medium, we said it was reasonable to come up
13 with a method to reasonably implement the groundwater
14 standards. How we came up with this concept, what it is
15 it's the volume of groundwater withdrawn to meet a
16 specified demand. We'll get to the specified demand in a
17 minute. It would be centered on the highest concentration
18 in the plume. It's position and dimensions would be based
19 upon average hydrologic properties along the flow path
20 rather than trying to pinpoint what the actual
21 characteristics are right at whatever particular point is
22 chosen.

23 We've proposed two ways to calculate the
24 dimensions of this representative volume. One is a well-

1 capture zone. In other words, you have a well pumping
2 water out so many acre-feet per year. Or a little slice
3 of the plume in which you actually take or model part of
4 the plume that equals the relevant water that we'll
5 discuss in a minute that's in the representative volume.
6 How you dilute the--if it turns out to be dilute--the
7 releases into that volume and use that for your
8 calculation.

9 We've proposed a representative volume of 1285
10 acre-feet per year exactly. I know that sounds awfully
11 specific. What we did was we assumed a small farming
12 community of roughly 25 people and this farming community
13 had 255 acres of alfalfa. Now, based on the information
14 that we have, that's the average size of the alfalfa
15 operations in Amargosa Valley. They use five acre-feet
16 per year of water out there again according to the
17 information we could find. So, that leaves us with 1275
18 acre-feet per year. Then, you have a family of four that
19 could have domestic uses including a garden. So, that
20 adds the other 10. So, that's the basis of the 1285.

21 We also have some other alternatives in the
22 standard that range from 10 to 4,000 acre-feet per year.
23 The 10 is the minimum volume of water for a public water
24 supply. So, that's obviously the bottom of where we would

1 protect. 120 is based on this 150 person community and
2 it's also based on the current water use in the Amargosa
3 Valley/Lathrop Wells area and a short term projection of
4 land use up in that area. 4,000 acre-feet is the annual
5 yield of Jackass Flats sub-basin. I was going to say
6 perennial, but it says annual; so, I'll say annual.

7 There are four alternatives for the groundwater
8 compliance point. Here, I apologize. I hope you got the
9 handout of the map. It got left out of the package, the
10 thing that looks like that. There are two methods of
11 approaching this that we've proposed. One is a controlled
12 area which if you're referring with Part 191 we use
13 controlled area. The other is designated point together
14 with fixed distance alternative which I'll explain. The
15 first area--and this is courtesy of DOE; so, I've used the
16 earlier drawing of the Part 191--a five kilometer area, is
17 precisely that. It's just brought over from Part 191.
18 So, presumably, you'd have an area similar to this for the
19 five kilometer option. The other controlled area option
20 is a combination of five kilometers in the Nevada Test
21 Site. It is a five kilometer distance around the
22 footprint. This is obviously for illustration only. I'm
23 also not an artist. But, what happens is in your five
24 kilometer distance where it intersects the Nevada Test

1 Site boundary, that becomes the controlled area. So, your
2 controlled area for that option looks like that. We refer
3 to that as the 18-kilometer alternative assuming that this
4 is about 18 kilometers down to here.

5 The two designated points fixed distance, one is
6 Lathrop Wells which is roughly 20 kilometers. The other
7 is an area down here in southern Amargosa Valley where
8 most of the agriculture takes place. We would have DOE
9 and NRC to determine a point within that area for the
10 compliance point. The fixed distance alternative would be
11 the fact that we've assumed the groundwater is going to be
12 on--for illustration purposes coming down this direction.

13 If somehow that higher concentration comes over here,
14 we'd obviously want to avoid the situation where--well,
15 concentration at Lathrop Wells is zero. So, that's fine.

16 What we would do at that point is, say, use the same
17 distance, but draw an arc to wherever that concentration
18 would intersect it; the same thing down with the 30
19 kilometer option.

20 The other provisions that were in the outlying
21 chart earlier, post-10,000 year results for individual
22 protection. The NAS did recommend peak dose within
23 geologic stability time of the repository. So, we wanted
24 to address that; however, we were also concerned about the

1 uncertainties that occur after 10,000 years. So, what
2 we've proposed to do that is you do the 10,000 year
3 analysis as a regulatory requirement, you calculate on out
4 after 10,000 years to the peak dose, and again include the
5 results in the Yucca Mountain EIS. This is intended to be
6 just an indicator of future performance. So, nothing
7 really crazy happens out there.

8 The second requirement is just a limit on
9 performance assessment considerations. This is the same
10 as in the general standards in Part 191; you need only to
11 consider process and events with probabilities. Critical
12 event are equal to 10^{-8} per year.

13 I'm not flying very well. So, I'll try to pick
14 this up. All our standards in Subpart B are based on the
15 concept of reasonable expectation. Our whole approach
16 here has tried to be reasonable. The RMEI, for example,
17 is not the maximally exposed individual, but hopefully a
18 realistic dose that could occur out in the population.
19 Likewise, our other standards are based on this reasonable
20 expectation. This is the same concept we used in Part
21 191. Our intent here is that it's taking into account the
22 uncertainties in long-term projections and we also mean it
23 to be less stringent than the concept of reasonable
24 assurance which has been used in the reactor licensing

1 business. Obviously, a 40 year lifetime on an engineered
2 system is different uncertainty-wise than the 10,000 year
3 projection on a geologic system.

4 We're still leaning toward to include all
5 important processes and parameters, but the important
6 point is even if they're not precisely quantifiable, if
7 there's a barrier or a geologic feature that could add to
8 the safety of the repository, use some reasonable bounds.

9 Just because you can't say it's 10^{-3} , da-da-da, still
10 consult the science--well, I'm not doing well here.
11 Consider the findings and use a reasonable bound. That's
12 all I'm trying to get to in that. The compliance
13 determination should not be heavily influenced by worst
14 case assumptions. In other words, don't always take the
15 extreme ones or the distributions and compound them. Use
16 the entire range of those distributions. That's what I
17 was trying to say before, as well, and that covers the
18 last point, as well.

19 And, mercifully, the final or next to the last
20 slide, public hearings are currently scheduled for next
21 month in Washington here on the 13th; Amargosa Valley on
22 the 19th; Las Vegas, the 20 and 21st; a midwest location
23 which is not yet quite nailed down for the final week of
24 October. Comment period is open until November 26. We,

1 of course, will do a response to comments document and
2 final technical background documents which are background
3 information documents which is our version of an EIS in a
4 sense, but it's just technical information and also an
5 economic evaluation. Target for final is a year after
6 proposal.

7 Now, a slide you don't have and I apologize to
8 the non-physicists in the group. It's speaking of
9 uncertainty. I found this and I couldn't resist it. That
10 concludes what I have.

11 COHON: Thank you, Captain Clark. Let me ask you a
12 logistical questions before we get into a substance. We
13 have approximately 10 minutes left in this part of our
14 meeting and I probably have more than 10 minutes worth of
15 questions myself and I expect there will be more. Are you
16 able to stay with us until noon or so today? That's
17 putting you on the spot. You can say no.

18 CLARK: I'll try and stay for a while.

19 COHON: Well, the reason I asked about noon is that
20 we must take on the next two presentations that will last
21 until approximately 11:30. At that time, we have a public
22 comment period and I expect there will be public comments,
23 as well as additional Board questions about the standard.
24 So, if you can't stay until noon, then there's no point

1 staying until 11:30 either unless, of course, you want to
2 listen to the wonderful presentations. All right. Well,
3 please, consider that and let's not waste the rest of our
4 10 minutes here on this.

5 Paul Craig?

6 CRAIG: Ray, I'd like to ask you whether EPA has
7 issued other standards that allow doses to increase above
8 those permitted? Has EPA issued other standards that
9 allow doses to increase above the permitted level at some
10 period of time? What I'm specifically referring to is the
11 way in which you dealt with the academy recommendations
12 that doses be set for the time of peak dose. One could
13 envision doing a peak dose standard taking into account
14 the growth of uncertainty beyond the 10,000 year limit.
15 Well, you rejected the academy proposal for doing a peak
16 dose standard and my question is whether there exists
17 other instances where you allow--where you anticipate that
18 the dose will rise above the permitted level at some time
19 outside the regulatory time standard, time specification.

20 This is an unusual situation where at the time of your
21 regulatory limit based on the analysis that DOE has done,
22 you expect the doses to be increasing and increasing
23 substantially.

24 CLARK: I stand to be correct on this, but to my

1 knowledge, we've just never addressed that for 10,000
2 years, whatsoever. So, it's not necessarily that you
3 didn't expect doses to increase.

4 CRAIG: But, you said something about uncertainty.
5 I'm not supposed to consider uncertainty?

6 CLARK: --based it on the uncertainty becoming a
7 problem for decision makers to try to make a reasonable
8 determination after that time. So, here, we were just
9 trying to address the long-term possibility and
10 recognizing the NAS recommendation.

11 COHON: That sounds like no. With apologies to Lake
12 Barrett. We had asked him to be prepared to comment if he
13 so chose on the proposed standard and I forgot to call on
14 him. May I call on you now, Lake? Do you have comments
15 to make at this point?

16 BARRETT: Just very briefly, I mean, I think my
17 remarks earlier stand that we want to have a demonstrable
18 standard that protects the public health and safety and
19 environmental that's demonstrable in the rigorous license
20 proceeding. As you heard and Ray presented, there are
21 many options and combinations in the proposed standard.
22 Some of those, we believe, would be reasonably
23 implementable. Some of those, we feel, may be going
24 beyond what science and technology could ever demonstrate.

1

2 Picking up on Paul's remarks, if you project out
3 to nominally a million years and have low numbers, the
4 uncertainty becomes so high you can't do it and then you
5 reach a situation where having a standard would basically
6 foreclose geologic disposition in any fresh water site.
7 You're starting to make a decision and then you need to
8 start looking at sort of the no action alternative
9 situation we had in DEIS. The only thing we've ever
10 evaluated in this program that ever had environmental
11 impacts that we believed were major and significant are
12 those in the no action alternative where you did not
13 responsibly manage the material. In the far future in the
14 no action alternative, we've lost institutional control
15 where you had big doses.

16 So, I think as a society we must be very careful
17 that we don't set a standard that is beyond what science
18 and technology can do, but yet must be a reasonable
19 standard and await EPA as going through the process that
20 they're going through. So, we will provide our comments
21 in the hearings and in the official thing, but we're just
22 very concerned that a priori we don't set a standard
23 that's impossible to meet and especially considering the
24 Board's views of uncertainties and we must consider the

1 uncertainties as we go forward.

2 COHON: Thank you, Lake. Dan Bullen?

3 BULLEN: First, just a comment and I know this is a
4 little bit absurd, but in the intruder scenario that I
5 know you have to do, it's always amazing to me that
6 somebody is going to drill for water from the top of a
7 mountain. Okay? That just strikes me as one of those
8 things that's a little bit absurd.

9 But, actually, as a followon to that, could you
10 comment on the maximum concentration levels for
11 groundwater protection? Specifically, what fraction of
12 existing municipal water supplies meet or maybe what
13 fraction fail to meet due to naturally occurring
14 radioactive materials the standards that you set for Yucca
15 Mountain?

16 CLARK: To get you a real number, I'd have to get
17 back to you on that. For the beta/gamma, it's only
18 manmade. That's the four millirem part. As far as the
19 alpha, I'd have to check. I don't know.

20 BULLEN: I'm just curious about that because, I mean,
21 that's one of the sticklers that people have with respect
22 to making the four millirems is that, you know, if there's
23 naturally occurring radioisotopes that--I mean, I don't
24 see the difference between a naturally occurring radiation

1 exposure and a manmade radiation exposure. And so, you
2 know, the stringent standard for MCLs in the groundwater
3 are probably pretty challenging.

4 CLARK: Well, as I say, the four millirem is just
5 manmade beta/gamma. It doesn't consider background.
6 That's just the way they are set up, you know, just--well,
7 before my time is the way that is. But, you're correct,
8 the alpha does include background. At this point, I don't
9 think we see alpha as getting down that far, but--I mean,
10 if it's five kilometers, we'd have to see.

11 COHON: Dan, do you want a written response to that
12 question?

13 BULLEN: Actually, I'd like to see the numbers if
14 they've got them. I'm pretty sure that when the Clean
15 Drinking Water Act was revised in the early '90s, those
16 numbers were published in the Federal Register somewhere.

17 COHON: Okay. Thank you. Jeff Wong?

18 WONG: This is a promised question, Ray. How do you
19 envision the two standards interacting? Do you see a
20 situation which either standard might act alone in
21 demanding repository performance? Two questions, so far.

22 CLARK: I might have to get back on your second one.
23 By the two standards, you mean individual protection and
24 the groundwater?

1 WONG: Right.

2 CLARK: Not given intrusion?

3 WONG: Groundwater and individual protection.

4 CLARK: Okay. Well, we see both of them as
5 protecting what they're intended to protect. Individual
6 protection is required to protect individuals; groundwater
7 is to protect the resource as such even though we use a
8 dose number to do that. The individual protection
9 requirement was established on a risk level which I
10 mentioned in there earlier. The MCLs were established
11 under the Safe Drinking Water Act and is the current law
12 at this point. My understanding is it's a policy decision
13 to apply separate groundwater standards, but they're
14 intended to protect two different things. --intends to be
15 limiting the other.

16 COHON: Jeff, if I could just interject because I
17 have a similar question. You just said in passing that
18 the groundwater standard uses dose considerations to
19 arrive at a standard. Wouldn't one expect then
20 consistency between the groundwater standard and the 15
21 millirem standard?

22 CLARK: I guess I need to know what you mean by
23 consistency between the MCLs for drinking water. It's the
24 drinking water pathway. The individual protection is all

1 pathways. So, there is that one pathway.

2 COHON: Well, both are filled, especially the
3 groundwater protection--the application of groundwater
4 protection standard is filled with assumptions about
5 various scenarios. People living in certain places using
6 a certain amount of water or for certain purposes.
7 Similar assumptions are made arriving at the 15 millirem
8 per year standard. That is the two liters per day water
9 consumption, for example. I would think that it would be
10 desirable to have consistency in that sense that there's
11 some linkage here.

12 CLARK: Well, with the different alternatives, we
13 might have to have different locations. Is that what you
14 mean; the same person using the same water or would that
15 be a--

16 COHON: No, I think I made my point for the record.
17 Jeff, did you have more questions?

18 WONG: I have one more question. You say you're
19 going to use the RMEI instead of the critical group to
20 avoid the most extreme cases. I assume that's related to
21 dose projections. But, in your bullet that's on Page 8,
22 you say you're doing to use a mixture of 95 percentile and
23 average values for the exposure parameters. I assume
24 that's for other biosphere parameters, also. What's your

1 expectations on how you or NRC or DOE will decide what
2 parameter they'll use the 95 percentile value and what
3 values they'll use the average value?

4 CLARK: Well, for that purpose, first of all, we
5 weren't using our RMEI instead of the critical group to
6 not do the maximally exposed. They're both approaches
7 that would not use maximally exposed if I heard you say
8 that right. We have proposed two parameter values as
9 maximums. The Lathrop Wells location and the two liters
10 per day. After that, it's up to the commission as an
11 implementing decision whether to do more than that or not.
12 It's their prerogative.

13 WONG: So, again, on Viewgraph 8, the use of the
14 mixture of 95 percentile and average values for exposure
15 parameters, you're going to leave it up to the NRC to tell
16 the DOE which they're supposed to use?

17 CLARK: With the exception of the two that I
18 mentioned, yeah, uh-huh.

19 WONG: All right. Thank you.

20 COHON: Thank you. Let me just do a quick time
21 check. I know we have questions from Alberto and Debra.
22 Are there any other members? Well, let's push on for five
23 minutes, and wherever we are, we're going to end in five
24 minutes. Okay? Actually, I think Debra was next; Debra

1 and then Alberto and then Richard.

2 KNOPMAN: Could you tell us how much EPA when back
3 and examined the underlying biological, physical basis for
4 the standards for low radiation exposures in the first
5 place? There is a report in the September issue of
6 "Physics Today" about a UN committee going back and
7 reexamining the underlying assumptions that go into
8 standards used worldwide for exposure to radiation. I'm
9 wondering how much EPA decided to just take what is
10 conventional practice or how much time you spent going
11 back and looking at what actual health effects there are
12 at these various levels.

13 CLARK: As far as the Yucca Mountain standards
14 project did, we don't do that personally. We have a group
15 that is a bio-effects analysis group who are continually
16 reviewing new information and reviewing what they've
17 already looked at relative to the new information and are
18 continually updating the information they give to us to
19 use. So, they're, at least to my knowledge, well-aware of
20 everything that's going on, as well as the history of
21 what's gone on before.

22 KNOPMAN: So, that was not a point of discussion or
23 debate as to whether or not to proceed with using the
24 current international standards?

1 CLARK: Well, that might be a little different.
2 Certainly, we considered other standards, if I'm
3 understanding you right. Rather than the bio-effects, you
4 mean the other dose standards or--

5 KNOPMAN: Well, based on what you presume the
6 biological effect to be of radiation.

7 CLARK: Oh, that's agency policy.

8 COHON: Thank you. Alberto Sagüés for a very brief,
9 to the point question.

10 SAGÜÉS: Yeah. On your transparency #10, there's a
11 statement to the effect that if intrusion could not occur--
12 -

13 CLARK: Uh-huh?

14 SAGÜÉS: Yeah, how could intrusion not occur?

15 CLARK: That's based on our condition that we've
16 imposed that the canister or the waste package had not
17 degraded enough for the driller to not know. So, if the
18 driller hits a waste package and the bit deflects or they
19 have a lot of trouble getting through the package more
20 than they would expect, we would consider that they
21 recognize there's something there that's not normal.
22 Therefore, the intrusion would not have occurred. If the
23 time that it occurs is once the package has degraded
24 enough that the water drill bit could pass through that

1 area without recognizing there is a waste package there.

2 So, what's what we mean by could not.

3 SAGÜÉS: I see.

4 CLARK: That it would not be recognized by the
5 drillers.

6 SAGÜÉS: And, the second part of the statement, the
7 results of the assessments and their bases must be placed
8 into the Yucca Mountain environmental impact statement,
9 wouldn't they be placed anyway or--

10 CLARK: I don't know whether they would or not. I
11 haven't examined the draft EIS all that much, but I don't
12 think that's there at the moment. But, that's something
13 we think is important to be in there.

14 SAGÜÉS: All right. Thank you.

15 COHON: Thank you. Richard Parizek?

16 PARIZEK: I was looking for other limits on drinking
17 water and I only find total dissolved solids mentioned in
18 one place. Do you have like iron and lead and zinc and
19 copper and so on in the plan? I don't see it mentioned
20 anywhere except as total dissolved solids, and on Page 11
21 of the viewgraph, you talk about MCLs, but it seems all
22 radionuclide related.

23 CLARK: That's correct. Those are just a radiation
24 protection standard and we're not using the false lead of

1 MCLs now.

2 PARIZEK: Okay.

3 COHON: Thank you very much, Captain Clark. If your
4 schedule permits you to stay, we would appreciate it, but
5 we'd certainly understand if you're not able to.

6 We will now take a break for seven minutes. The
7 next session will be chaired by Debra Knopman who will
8 call us to order in seven minutes. Thank you and thank
9 you to all of our speakers.

10 (Whereupon, a brief recess was taken.)

11 KNOPMAN: We're now going to begin the portion of our
12 meeting devoted to understanding the evolving repository
13 safety strategy and we will, however, start with an
14 overview of the Yucca Mountain Project by Steve Brocoun.
15 Steve is the assistant manager and in charge of the Office
16 of Licensing & Regulatory Compliance at the Yucca Mountain
17 Site Characterization Office.

18 BROCOUM: Okay. I'm just going to give an overview
19 of the perspective on Yucca Mountain. We're going to talk
20 a little bit about some new people on the projects, what
21 we did in '99, what our priorities are for fiscal year
22 2000, implementation of what our enhances are in
23 Alternative II and an overview on the planned testing, a
24 few words on repository safety strategy which will be

1 talked about in detail, as will be the planned testing,
2 and where we are in our EIS process right now.

3 We are continuing to implement our culture of
4 excellence. We informally call it nuclear culture. We've
5 tried to enhance our project management practices to
6 become more efficient, to become more traceable, to become
7 more transparent, and we've put a lot of effort into that
8 this year. The project manager, Russ Dyer, has proposed a
9 two deputy organizational structure for Yucca Mountain.
10 It's proposed at this point with Don Horton would be the
11 deputy for technical, and Linda Bauer who was just shown
12 the project a month or so ago in Hanford will be the
13 operations deputy. Secondly, the vacancy for the
14 assistant manager for the Office of Project Execution was
15 filled by Suzane Mellington and she came from Oak Ridge.
16 Suzane Mellington and myself report to Don Horton.

17 For '99, things that we've done from '99, we
18 issued VA in December. I think that's very low impact
19 here. We completed and released the technical basis
20 report last December. We released the site description in
21 January. We released the draft Environmental Impact
22 Statement in August. Just this Friday, Lake signed for
23 the program, the design concept, EDA II, and he sent a
24 letter to the Board.

1 Where do we go in the fiscal year 2000? One of
2 the key things we're doing is implementing a quality
3 initiative of trying to resolve the issues we've had and
4 the corrective actions for our qualification data and our
5 model validation. The NRC has made it pretty clear that
6 unless we get a lot of that well on its way to resolution,
7 then when it comes time for them to make sufficiency
8 comments on our site recommendation, we might have some
9 issues that they might produce. So, we have to really
10 work on that. But, we're also going to do it for
11 ourselves to get our program in good shape.

12 We are preparing--and you're going to hear a lot
13 about this over the next two days--Process Model Reports
14 which are key inputs to the TSPA and the system
15 description documents for the design inputs that we're
16 going to use for next version of the TSPA and our site
17 recommendation consideration report. And, of course,
18 we're implementing Design Alternatives II, as I mentioned
19 already.

20 We're conducting testing and there's several
21 presentations on testing to understand our key parameters.
22 We're to complete TSPA--we're at zero--next September or
23 September 2000. We're preparing for fiscal year 2000, the
24 site recommendation consideration report, you know,

1 internally. We're conducting public hearings on the EIS.
2 We're going to work if the hearings are finished on
3 finalizing EIS and we're trying to resolve the status of
4 the DOE siting guidelines for evaluation of suitability
5 for the site recommendation.

6 The acting director, Lake, has approved the M&O
7 recommendation. Lake talked about this a little bit. So,
8 I really won't go over it. The key thing is that we added
9 some conditions that the closure could occur between 50
10 and 125 years. At 50 years, some of the rock around the
11 drifts will be above boiling. At approximately 125 years,
12 we don't believe any of the rock would go above boiling,
13 but with maintenance can be kept open for 300 years. This
14 gives a very flexible design as we better understand
15 postclosure thermal conditions and we can modify the
16 design of the future and also allow us the option, as Lake
17 said, if the future generations of the site want to close.

18 Okay. Our planned testing depends on the needs
19 for a new EDA II. We've got a lot of comments from
20 external oversight groups including the TRV. We keep
21 learning about the site and understanding the site
22 conditions and, of course, the repository safety strategy
23 and how we're going to get to the license application
24 assuming it's site suitable.

1 You'll hear a lot about testing in the next two
2 days, but basically seepage is one of the big issues and
3 these types of tests here are to address issues on
4 seepage. Again, flow and retardation are big issues at
5 Calico Hills. Drift scale heater tests for
6 hydrothermallogic conditions. A lot of concern about
7 retardation in the saturated zone and that's what the 40
8 Mile Wash is, in part. Waste package and engineered
9 barrier system are very important in our design. Those
10 need to be understood. Of course, National Analogue
11 studies is one of the key additional confidence builders
12 that we have in our repository safety strategy.

13 Revision 3 of the RSS is in draft form. We've
14 decided not to finalize just yet until we have a meeting
15 with TRB and get input from the TRB before we finalize it.
16 Currently, we're thinking of finalizing sometime in the
17 middle of October. So, any comments that TRB has would be
18 very useful for us in finalizing this version of a
19 strategy. This, as somebody mentioned, is a little
20 document. This is Rev.3. Next summer, we will have a
21 Rev.4. It will include the updated design, EDA II. It
22 focuses on understanding the principal factors most
23 important to repository performance. There will be a lot
24 of discussion of that of the seven key principal factors.

1 It discusses the approach of adequacy of information and
2 prioritizes future work and describes how to implement
3 TSPA and what we call barrier neutralization analyses.

4 The EIS, a few words on the EIS. Once the public
5 comment period closes in February, the revised EIS, it
6 goes on the 24th of July into internal headquarters
7 concurrence and we'll plan to publish it on November 17,
8 2000.

9 The EIS has been lightly distributed, although we
10 should have been smart and had several copies out on the
11 outside table here in both hard copy and CD-ROM. It's
12 available through our project website, it's available
13 through the DOE Office of NEPA Policy, and it's available
14 by just calling that phone number. All the references are
15 in four reading rooms. The EIS itself is in many, many
16 libraries throughout the country.

17 When the public notice went out, we had 16
18 meetings scheduled for the EIS. I understand we're adding
19 a 17th meeting for Carson City public hearings.

20 This is a very busy chart. I just want to point
21 several things out on this chart. This is our schedule to
22 site recommendation. Today, we are right about here.
23 You'll notice originally we were going to have the
24 repository strategy done by the end of September. That

1 repository safety strategy will be revised for Rev.4
2 roughly in July of next year. By November of next year,
3 we will have the final EIS. We will have site
4 recommendation hearings and comment notice of hearings.
5 We will ask the NRC for sufficiency comments. We will
6 release the site recommendation consideration report for
7 public review and that will happen next November. We hope
8 to get sufficient comments from the NRC May 25 of '01, and
9 if we stay on schedule, the Secretary will issue a
10 decision roughly June 26 of '01. Those are the key dates.
11 Rev.00, as we call it, of the TSPA comes in on, I guess,
12 August 1, '00 and that feeds the consideration draft.
13 And, Rev.01 of the TSPA comes in April 1 of '01 and that
14 feeds the site recommendation.

15 This is our pyramid for site recommendation.
16 Working from the bottom up, this is all the detailed
17 information the project has collected over the years.
18 That feeds up into various summary type documents such as
19 the system description, the Process Model Reports, the
20 TSPA-SR, repository safety strategy. The area surrounded
21 by the green is roughly what we will be issuing for the
22 consideration report. Those are prepared by DOE. We're
23 thinking of four volumes. Volume 1, Volume 2 which would
24 be issue the consideration draft, Volume 3 which is

1 summary of views of outside parties, and the Secretary's
2 response, and Volume 4 which is the NRC's sufficiency
3 comments. So, those four volumes we make in our current
4 view of site recommendation.

5 In the site recommendation consideration report,
6 we would issue Volumes 1 and 2 which should be all a
7 preliminary nature and a status at the time for public
8 comment. But, that's what would come out next November.

9 Now, adequacy of information, there will be a lot
10 to be said about adequacy of information. I just want to
11 make two points here. First is that we've been studying
12 the site for many, many years. We have about spent \$4
13 billion by the time site characterization is done. We
14 have had enough confidence that new information won't make
15 radical changes to our understanding. If there are
16 radical changes, it seems to me that you're not ready to
17 go into the site recommendation. You have to have enough
18 confidence that new information will not make major
19 changes.

20 Secondly, you have to be able to put together a
21 defensible compliance position because we need to comply
22 with the regulations that will be in place. We're working
23 very hard and have got extensive documentation. We're
24 working very hard in integrated product, a traceable

1 product, and a defensible product. All of our business
2 practices have improved this year to make sure we can have
3 traceability and improve our transparency.

4 Process Model Reports and analysis and model
5 reports which feed the process models are very important.

6 It's a way to put all the information together in a
7 structured and controlled environment so that other
8 parties who look at this can see how it's been done. The
9 same with system description documents for design and all
10 of these feed together and are the building blocks of the
11 future TSPA.

12 This is a larger diagram that, I believe, Lugo
13 will talk about in his talk on PMRs, but it gives you the
14 sequence of events. I felt it a very nice diagram to show
15 the sequence of events. The first Rev of the Process
16 Model Reports will start coming out this fall. The
17 integrated site model at the very top here comes out the
18 end of October. Is that date right? Why does it say 12?

19 SPEAKER: DOE approval date.

20 BROCOUM: DOE approval date. Okay. The other
21 Process Model Reports will come out between April and late
22 May of next year. Those analysis from those reports will
23 support the TSPA-SR Rev.0 which will, in turn, support the
24 site recommendation consideration report. As new

1 information comes in that we're collecting this year and
2 so on, those Rev.0 PMRs will be a updated to Rev.01.
3 Rev.01 PMRs will support TSPA-SR Rev.01 which will support
4 the SR. New information has come in as we improve the
5 Process Model Reports. That will be updated to Rev.2.
6 Rev.2 will support the TSPA that we eventually do for LA
7 assuming the site is suitable which will support the LA.
8 That's kind of the logic. This schedule, of course,
9 depends on the funding situation. Lake has said we'll try
10 to hold the schedule for SR under most budget scenarios.
11 LA depending on the budget may have to be readjusted.

12 The system description documents define the
13 design and there's a series of them that are being
14 prepared for many or different systems of the design.
15 They will provide and demonstrate compliance with what we
16 call QL-1 which was safety issues that directly affect the
17 public and QL-2 which are safety issues at minimal grade
18 that indirectly affect the public.

19 So, this kind of summary slide, we're working on
20 now and getting better. Culture of excellence where the
21 big job in fiscal year 2000 is to prepare the final EIS
22 and prepare the technical basis for the site
23 recommendation consideration report. We're implementing
24 EDA II. We're hoping to get the guidelines all

1 straightened out during fiscal year 2000.

2 I talked about adequacy and there will be a lot
3 more debate on that in the next two days. Rev.3 will be
4 finalized after this meeting on its way, of course,
5 eventually to becoming Rev.4. And, of course, in fiscal
6 year 2001, right now we're planning to issue the final EIS
7 and the site recommendation consideration report.

8 Thank you.

9 KNOPMAN: Thank you, Steve.

10 Questions from Board members?

11 COHON: On this very last slide--also, it came up on
12 18

13 --this point about adequacy information, this first point
14 is a useful one and I know it's been said before it sort
15 of crystallizes a key point. First, one statement about
16 it and then a question for you. The observation is that
17 first point about the impact of additional information is
18 a useful, I guess, in being able to determine that even
19 though, let's say, uncertainty is high on a particular
20 parameter, if you believe that new information will not
21 reduce that uncertainty, then you've still met this test.

22 Now, I understand that the second point goes with the
23 first. That is you still have to have a defensible safety
24 case. But, there must be some kind of time dimension in

1 this. That is given enough time, like infinite, you could
2 know whatever you need to know about the mountain. So,
3 there's some judgment that has to go into applying this
4 first threshold. Have you talked through that yet,
5 thought through the time issue here?

6 BROCOUM: Well, I'm not sure, you know, if perhaps
7 given an infinite amount of time, we could understand the
8 mountain, but we have spent, you know, like 15 years and
9 close to \$4 billion. So, I would say that we have
10 probably spent quite a bit of money on this piece of real
11 estate called Yucca Mountain. So, we've probably studied
12 that more intensely than most other areas, you know, that
13 have been studied in the world. So, I think there's been
14 intense study at Yucca Mountain, you know, with all
15 national labs and the M&O and the USGS. So, this has been
16 an intense look at Yucca Mountain. Say, if we can't go
17 into the site recommendation and say, you know, we think
18 we've got a pretty good understanding and we think we know
19 what's important and I think--and what's less important?
20 If these important things change or go out in ranges that
21 we're considering for, then, you know, they may make some
22 changes. You know, if things radically change, I think
23 we're not ready for a site--personally, we're not ready
24 for site recommendation. That's where I am.

1 COHON: Yeah, I except that. I think that's a very
2 useful way to proceed. I'm thinking about gray areas.
3 Here's an example. Suppose you were told by one of the
4 labs, you know, Steve, if we just had five more years, we
5 could really give you a terrific model about corrosion
6 rates of C-22. You've got to make the judgment, you know.
7 How much more do I really get out of five more years of
8 testing? I just wonder if you've talked through or
9 thought through those kinds of gray areas?

10 BROCOUM: Well, in the last five years, probably
11 somebody would say give me five more years and--scientists
12 always ask more questions than answers. I mean, that's
13 just the nature of science. At some point, you have to
14 make decisions and that's what you're discussing. Is it a
15 reasonable decision or what you make of the decision and
16 move on. That's kind of what we're going to be talking
17 for the next two days. There is no simple answer to that.
18 I think, Lake said there wasn't a simple answer to that.
19 I can't stand here and give you a simple answer to that.
20 But, I think you'll hear collectively we're thinking
21 through as we develop the repository strategy, we're
22 trying to focus on what's really important. I know
23 there's some controversy over that, but you'll hear, you
24 know, the seven principal factors that people are focusing

1 on. Those are the ones. Some of the other factors,
2 there's a lot of changes in the range. So, it doesn't
3 make any difference to the result. We're trying to focus
4 on what makes a difference, say, to the results on how the
5 thing performs.

6 COHON: Good. And, I just want to make sure
7 acknowledging that the program is going to be under
8 tremendous pressure even more than it's under now one year
9 from now that you don't decide that you've got all the
10 information you need because it's September 2000 and not
11 because of, you know--you see the point. Thank you.

12 BROCOUM: It's a big challenge to get to September or
13 November of 2000. I acknowledge that right up front as
14 being the one that's in the middle of trying to get that
15 done.

16 KNOPMAN: Dan Bullen?

17 BULLEN: Actually, Steve, if you've got #21, if you
18 can go back to that, the multi-colored one which we have
19 seen before. I guess, the followon question is that if
20 the PMRs are all going to be done by 04 of '00 and 05 of
21 '00, I understand that the drafts of those have to be done
22 even sooner. And so, the input or the time frame put for
23 a new date is essentially either fast approaching or has
24 come and gone. Could you talk about the ability to

1 incorporate the new data that would tell you whether or
2 not you have a fatal flaw in these PMRs or essentially is
3 it what we see is what we get right now based on the data
4 that we have in hand?

5 BROCOUM: Well, as new data keeps rolling in, you
6 always compare it with what you had. You know, and if it
7 reinforces what you know already, you can kind of rely.
8 If it tells you something new you didn't know, then you've
9 got to sit back and reconsider. I think we always plan to
10 operate that way. This is a schedule. Schedules, you
11 always have to plan out your work and so there's--you
12 know, so if something was to come in right here between--
13 let's say right here, just for an example, between Rev.0
14 and Rev.01, oh, you know, something outside that we were
15 expecting, I think we have to go look at it. Okay? So,
16 we've always done that. But, we have project management
17 and we have schedules and assuming there's no big
18 surprises, we go on. But, if there's a big surprise, now,
19 we say, no, no, let's reconsider which I think is similar
20 to what I said earlier.

21 BULLEN: I guess as a follow on to that, based on the
22 fact that you're worried about budget limitations now,
23 there may be no new data between Rev.0 and Rev.01?

24 BROCOUM: No, but a lot of testing will be going on

1 and you will be--

2 BULLEN: Is that--I mean--

3 BROCOUM: --hearing about that from Jean and Mark
4 Peters.

5 BULLEN: Okay. Great.

6 BROCOUM: So, exactly how that will be, I think
7 they'll tell you.

8 BULLEN: All right.

9 KNOPMAN: Don Runnells?

10 RUNNELLS: Could we look at Slide 23, please? Could
11 you expand, Steve, just a little bit on that last bullet.
12 As you flew by it, you used the words "and get that all
13 straightened out". I can't link that bullet into the
14 schedule and into the logic diagram.

15 BROCOUM: Was it '96 we published a proposed rule for
16 Yucca Mountain and the Department has been thinking about
17 that ever since. And, I'm not sure. Lake made some
18 comments on that in his talk. Okay? That rule is an
19 interagency review. Can I say that because I said it
20 already. Once that gets out of interagency review, it
21 will be published as second proposed rule, Part 963, which
22 is the Department of Energy's siting guidelines. Assuming
23 that is finalized, we will use our new siting guidelines
24 for evaluating Yucca Mountain for consideration for site

1 recommendation. The current guidelines that are in place
2 right now are 10 CFR 960. They've been in place since
3 1984. With the NRC coming out with a new proposed rule 10
4 CFR 63, with the EPA coming out just recently with their
5 proposed rule that Ray Clark talked about, Part 197, the
6 regulatory--you know, was kind of in flux, the regulatory
7 infrastructure, if you want to call it that. So, we're
8 trying to work through all of this and we're trying to
9 project what we think the rules will be. So, we are
10 working in a kind of not a very constrained environment
11 right now in terms of regulations.

12 RUNNELLS: That helps. I know and understand what
13 you meant by get it all straightened out.

14 BROCOUM: Yeah. But, the key regulations will be 197
15 from the EPA, 963 from the NRC, and 960/963 depending on
16 how it all ends up from the DOE.

17 RUNNELLS: Okay, thank you.

18 BROCOUM: And, I'm looking at Lake here because I
19 always have to be careful on the rules not public yet.

20 KNOPMAN: May the record show Lake put a thumbs up
21 there.

22 BROCOUM: Okay.

23 KNOPMAN: Thank you, Steve.

24 I'd like to move on so that we make sure we do

1 have time in the public comment period. Our next speaker
2 is Abe Van Luik. He's going to give us an introduction to
3 the repository safety strategy.

4 VAN LUIK: I want to talk about the repository safety
5 strategy. It's basically going to be the subject for the
6 rest of today. I want to introduce the subject so we can
7 go to the first viewgraph.

8 The repository safety strategy and the
9 postclosure safety case are not the same thing. The
10 repository safety strategy is a plan to develop the
11 postclosure safety case appropriate for each stage of
12 decision making. It starts from the current postclosure
13 safety case and adds to that an assessment of the current
14 confidence in the safety case and the confidence needed
15 for the next level of decision making.

16 The evolution of the repository safety case, we
17 put out a Revision 1 which was based on the information
18 from site characterization and looked at specific
19 hypotheses to be tested in further characterization. We
20 put out a Revision 2 which was based on the updated
21 information available at the time and the VA system
22 concept. It was the initial site-specific proposal for a
23 safety case and identified 19 principal factors and the
24 need to evaluate design enhancements. Now, we are working

1 on Revision 3. It is in draft form. There are policy
2 discussions going on within the DOE about its content and
3 it should be done pretty soon, I would think, but it's
4 based on the updated information from the VA experience
5 and SR design enhancement. It updates the list of factors
6 and the proposal for the safety case, focuses on seven
7 principal factors and plans to simplify remaining factors
8 where appropriate.

9 The strategy continues to develop under the
10 postclosure safety case. I think I'm probably over-
11 emphasizing that both the strategy and the safety case are
12 living entities that, as soon as you learn something
13 significant, you update them. Looking at current and
14 needed confidence, we did that in Rev.2; we're continuing
15 that in Rev.3. We are considering input, for example,
16 from this body right here, regulators, stakeholders,
17 public, on the adequacy of the safety case. Based on this
18 assessment, it specifies plans to adjust the system
19 concepts, the barriers to be relied on to obtain
20 additional information and additional science--and by
21 science, I also mean the engineering testing world--
22 increasing the assessment capability, and modeling
23 development. It has a discussion of prioritizing the
24 remaining work, focusing on principal factors. What it

1 does not do in Rev.3 and which it can't do is look at the
2 impacts of budget. It just says here's your priorities
3 and principal factors. To then go specifying what your
4 work detail is going to be for the next year or two is a
5 different call. You will not find that in the safety
6 strategy. The updated safety case follows from a safety
7 assessment after adjustments and new information. In
8 other words, after you have done all this work, you still
9 need to do a safety assessment before you can update it
10 again.

11 This is a picture of what I just said. You have
12 a safety case. You do a confidence assessment, look at
13 your technical basis updated, go back and do a safety
14 assessment, and then you update your safety case. This is
15 like a bicycle wheel. We have a lot of questions about
16 which comes first, the chicken or the egg. You know, do
17 you do the safety assessment first, do you do the strategy
18 first? Now that we are into this loop, this loop is
19 revolving and it really makes no sense to historically try
20 to point out what's going on.

21 We can go to the next viewgraph. The original of
22 this--I think, it's instructive--said SR and LA, but
23 really it could also say VA and SR design. SR design
24 became a decision because in the confidence assessment

1 that we did after we did the work for the VA, we said
2 makes a very good case for 10,000 years, but the depth of
3 confidence is not there where we are really comfortable
4 with it and so this was like an intermediate step before
5 the SR decision. So, we plan to continue this, and as
6 soon as information determines the need for it, we will
7 rev it again probably next year or in two years.

8 Confidence and long-term safety is a crucial
9 issue for the site recommendation and the licensing
10 decisions. It's not just that you have a number that
11 looks good, but it's also that you can demonstrate that
12 you have confidence that that number is meaningful. The
13 postclosure safety case is the evidence to provide
14 confidence sufficient for each stage of decision making.
15 This is important, too. The VA was not the same as the
16 LA; the SR is not the same as the LA. Repository
17 decisions proceed as information is developed.
18 Consequently, the safety case evolves. I've probably
19 overstated that quite a few times, but it's an important
20 concept. Based on the current status of the safety case,
21 the strategy proposes needed adjustments to that case and
22 prioritizes the work to get there. That's what Rev.3 is
23 all about. That's why we're doing it.

24 What is the nature of the postclosure safety

1 case? Some of you are familiar with a document from the
2 OEC/CDA NEA and might recognize some of the sequence of
3 thought here. But, before you can develop a safety case,
4 you have to have some prerequisites. You have to have a
5 system concept. You can't make a safety case that has no
6 bearing on any system. And, you have to do an assessment
7 of safety of that concept so you can see how it works. It
8 includes a discussion of the status of the technical basis
9 for the safety assessment, an evaluation of safety
10 margins, a formal statement of the degree of confidence
11 and a description of the approach to confidence for each
12 aspect of that assessment. It provides feedback to future
13 development to address remaining issues and is revisited
14 whenever substantive new information is developed. This
15 is the NEA's thought on the topic and this is exactly what
16 we're trying to implement.

17 The original case in our particular application
18 was in the site characterization plan. It's actually a
19 very nice discussion of why we at that time thought Yucca
20 Mountain would work as a repository. It was based on a
21 preliminary assessment of the roles of the geologic and
22 engineered barriers. It was the basis for the strategy
23 for site characterization to design development at that
24 time and model development. Now, the case has become more

1 focused and has changed in some areas, but it is not a
2 brand new totally radically different approach. As
3 information has been acquired, design has evolved, and
4 also as regulations have changed.

5 If we look at the safety case, a question that I
6 get all the time is what's the difference between the
7 safety case and the safety assessment? The total system
8 performance assessment is the safety assessment. Well,
9 the safety case is basically the body of evidence. It
10 includes a TSPA. TSPA is a very important part of it, but
11 also it discusses the design margin, the defense-in-depth.
12 It discusses disruptive processes and events that may or
13 may not be part of the safety case and discusses why they
14 are or are not thought of as part of the safety
15 assessment. This is getting tricky. It is discussed as
16 insights from natural analogues that have bearing on the
17 safety case and it discusses what you're still working on
18 to provide further confirmation of your safety case. So,
19 all of these things together are the total bag of things
20 that you bring in to make a case for safety.

21 Now, when we get specific to the SR which is the
22 next big ticket decision the DOE and all of society
23 basically is going to make, TSPA-SR will address all
24 factors potentially contributing to postclosure

1 performance. It will perform sensitivity and uncertainty
2 analyses. Design margin and defense-in-depth for the SR
3 will be looked at through the enhanced design that you're
4 quite familiar with and it will have an additional
5 assessment of the contribution and significance of
6 barriers. Disruptive processes and events, we will do
7 qualitative assessments of key scenarios and we will do a
8 quantitative inclusion of FEPs in the overall TSPA.
9 Insights from natural analogues, in each Process Model
10 Report, PMR that Steve mentioned, you will see a
11 discussion of possible natural analogue insights and also
12 natural analogue information that has actually been used
13 in the context of developing the process model. And then,
14 performance confirmation, we will have sufficient detail
15 in the plan for SR to show what we are continuing to work
16 on even as we make this decision at this point in time.

17 An example of what you will find in the strategy,
18 Revision 2 of the strategy had the key attributes. The
19 key attributes basically haven't changed any except that
20 we have streamlined the wording a little bit. But, the
21 strategy of the key attributes of it remain the same.
22 It's what important in the implementation of it that have
23 changed. And, here, we have a listing. It's a longer
24 listing this time than it was last time partly because the

1 new design introduces some new features that all become
2 factors for enhancing system performance. However, key--
3 you remember the 19 to seven that I mentioned in a
4 previous viewgraph. Out of this list, there are seven
5 that are considered key. I don't want to go into that
6 now, but when the draft is approved by DOE, you will see a
7 table in there that explains these and what the basis is
8 for those decisions.

9 We said something a while ago that might have
10 peaked your interest; assessing the safety case confidence
11 at each stage of the decision making is an important
12 aspect of the overall discussion of safety. At each stage
13 of decision making--like, SR is a stage of decision
14 making--we need to assess the robustness of the system
15 concepts, whether it favors safety, whether it limits or
16 mitigates uncertainty. Assess the quality of the safety
17 assessment. Does it explicitly account for uncertainty?
18 Does it incorporate multiple lines of evidence? Assess
19 the reliability of the performance assessment. Does it
20 observe appropriate principals, criterias, and procedures?
21 Have the models which are the basis for it at the process
22 level been adequately validated? And, are the
23 computational tools free from error?

24 How do we build confidence into safety case over

1 time? Well, one good way is to look at multiple lines of
2 evidence. Performance assessment indicates margins and
3 importance of features, events, and processes, scenarios,
4 and sources of uncertainty. Qualitative assessments
5 including insights from natural analogues and
6 identification of multiple diverse barriers. Alternative
7 interpretations and opposing views; this has been handled
8 very nicely, I think, in the EIS and we want to adopt the
9 same approach in the SR and the LA. And, that is to
10 acknowledge opposing views on certain issues, and to the
11 extent that it makes sense to do so, do some analyses to
12 show whether or not those views mean anything in terms of
13 long-term safety. Accounting for phenomena relevant to
14 safety. Another thing is that internal to the project we
15 have a lot of alternative interpretations of our own data.
16 We have alternative conceptual models. All of these are
17 going to be discussed, and to some extent, incorporated
18 into the analyses. And, we want to give some assurance
19 that cases of significant consequence and uncertain
20 likelihood can be dealt with. In other words, you have to
21 show a capability that it's not extremely limited to only
22 those things that you tend to find with the short-term
23 testing that we're looking at.

24 We are going to continue development of the

1 safety case. This is not the last word. The case will
2 continue to be evaluated and presented throughout
3 repository development. So, even after the license
4 application is in, we will continually reevaluate it. As
5 information about the sites increases and the focus on
6 factors most important to postclosure performance changes,
7 we will revisit it. Looking at the information for
8 performance confirmation which goes right with the first
9 bullet, if we make further changes in design, particularly
10 those that would enhance performance, enhance robustness,
11 thermal design, and performance--the thing that Lake
12 Barrett talked about this morning, if after 25 or 30 years
13 of testing we decide that the issue is more important than
14 we thought or less important than we thought, we will
15 change the safety case and the safety strategy will be
16 changed. And, if regulations and standards in the future
17 would change, we would also revisit this whole arena. So,
18 the repository safety strategy, you can expect to see
19 updates to as soon as important information in any of
20 these categories comes up.

21 That's my introduction, basically, to what other
22 people are going to be referring to which is the
23 implementation of the repository safety strategy and the
24 continued testing and then the performance assessment

1 arenas.

2 KNOPMAN: Thank you, Abe.

3 Questions from the Board? Paul Craig?

4 CRAIG: You did make reference on Page 10 and some
5 other places to the concept of defense-in-depth which, as
6 you know, is very important to the Board. We refer to
7 that rather frequently. To what extent are you going to
8 explore the expansion of the one-off concept? We're
9 concerned about the relative role of the engineered
10 barriers versus the mountain. It would be very useful to
11 be able to split those apart and discuss exactly how the
12 mountain performs all by itself and how much the
13 engineered barriers contribute. Can you analyze that for
14 us?

15 VAN LUIK: In fact, one of the internal discussions
16 we're having on RRS Rev.3 is that it does contain one
17 approach to that type of analysis. Part of the internal
18 discussion we're having is that in order to do that
19 analysis, you do them to gain insights and that's the only
20 reason you do them because you're evaluating scenarios
21 that cannot possibly happen. Their likelihood is zero.
22 So, we have them in there right now. We show that the
23 mountain has a role about eight orders of magnitude
24 reduction in potential dose from the mountain itself.

1 But, the reason that you create a system is because you're
2 not relying totally on that. You also have to take care
3 of a couple of other orders of magnitude and that's why
4 you invoke an engineered system.

5 So, one of the internal discussions is is the
6 current approach to showing that--there's no quarrel with
7 needing to do it, but is a current approach to showing
8 that the right approach or should we go to a more
9 probabilistic approach that stays within the bounds of
10 what we think the expected roles of these things would be.

11 So, there is discussion on that. In the draft that we
12 currently have, there is an example of calculations set
13 and we will determine very quickly whether we stay with
14 that or go with a different approach before we issue this
15 version. But, we're committed to do that, yes.

16 KNOPMAN: Dan Bullen.

17 VAN LUIK: Should have just yes, I guess.

18 BULLEN: Actually, right here on the same viewgraph
19 where you talk about performance confirmation, do you see
20 the postclosure safety case as driving performance
21 confirmation or do you think that performance confirmation
22 will make significant changes to the safety case?

23 VAN LUIK: It's a revolving wheel, yeah.

24 BULLEN: But, the followon question here is that if

1 your performance confirmation doesn't test a more
2 aggressive environment, then you won't have any reason to
3 update your safety case. Is that not correct?

4 VAN LUIK: This is a discussion we've had internally
5 that you drive performance confirmation through the
6 strategy, through the needs of the safety case. At the
7 same time, if you only--and this is why I don't like the
8 word performance confirmation. If you only do those tests
9 that you know will confirm what you've already found, then
10 it's a self- fulfilling process and you're wasting
11 everybody's money and time. So, performance confirmation
12 has to honestly look at those issues where we still need
13 more information to close the uncertainty gap and there is
14 the possibility that we will have surprises, although we
15 are not planning to aggressively look for surprises in
16 some areas. But, it's a balancing act.

17 BULLEN: But, by aggressively looking, if you don't
18 find the surprises, then you're a little bit more
19 convinced that the repository safety case that you're
20 building is robust enough to meet the needs of post-
21 closure time.

22 VAN LUIK: Yeah.

23 BULLEN: And so, that's why I asked about aggressive
24 testing as opposed to just performance confirmation.

1 VAN LUIK: Oh, that's what you meant by aggressive?

2 BULLEN: Yes. I mean aggressive so that you can--if
3 you want to relax the temperature limits, for example, or
4 you're going to have a hot drift. I mean, that's sort of
5 the issue that you want to take a look at.

6 VAN LUIK: Or do you install some kind of a testing
7 mechanism to test pieces of the hot drift?

8 BULLEN: Right. Maybe, that hot drift may not
9 perform as you're expecting. So, you have to abandon that
10 drift and put it somewhere else because it has to stay
11 cooler, but that's why I'm interested in an iterative
12 process of the safety case because if you want to look at
13 performance confirmation--I mean, in estimates, if you
14 ventilate for 50 years, there won't be anything to worry
15 about because there won't be any surprises. If you're
16 going to try and take an aggressive stance and you want to
17 say, well, we really can't close at 50 years, you have to
18 have the data to support that. That real data should be
19 data from the repository that says, yeah, the performance
20 is as expected and so we think that our projections are
21 correct. But, if you don't have the aggressive
22 environment, you won't be able to make that case.

23 VAN LUIK: Yeah. And, Lake made the commitment this
24 morning that during that 50 year period, we will do the

1 testing that will give us a definitive word on whether or
2 not we close off at that point or go further. But, the
3 reason I was a little cautious about the aggressiveness is
4 because we don't want to do things that we intuitively
5 know are not going to lead anywhere.

6 COHON: Abe, will one of your colleagues be
7 addressing in a later presentation how the seven factors
8 were chosen from the list of 27?

9 VAN LUIK: That is not in the presentations that we
10 were going to make this time. In fact, that's part of
11 what the internal dialogue over the content of this report
12 is still about is the--basically of that going from 19 to
13 seven. But, we will be looking at some of the
14 consequences of that in the planned testing and the plan
15 analysis work. We were just simply not planning to go
16 into that, although once the document is out in public, it
17 certainly will be there in some detail.

18 COHON: Can you say just a few words about the
19 process--I mean, the considerations that go into the
20 choosing of the seven?

21 VAN LUIK: Yeah. The considerations I went into were
22 multi-staged. I ran a little pilot program myself first
23 using DOE and contractor staff to quickly run through what
24 would be involved in reassessing all the aspects of the

1 safety case and came out with a reprioritization list. We
2 then handed the whole thing to the M&O and said now we
3 have shown you one way to do it; now do it right. They
4 brought in all aspects of the project in some detail, went
5 through and reevaluated all of the things that were done
6 for RSS 2 and not only the physical new things brought on
7 by the design, but also the implications for processes,
8 and then came up with a list of something like 52 and have
9 gone from 19 to 52. Then, in further discussions, brought
10 that back down to the list I showed a while ago. I think
11 it's down to 27 or 32 or something, and then by basically
12 talking through some kind of consensus as to which one
13 feeds which and which one is a direct link to performance
14 assessment and which one in sensitivity studies that were
15 done for LADS 2, for example, were shown to be key, then
16 came down to that seven.

17 So, that was kind of the process, but I'm not
18 prepared to go into the nuances of the discussion. There
19 were, I mean, days and days of large meetings and
20 discussions on these things which were captured, I think,
21 pretty well in the notes that are actually in the archives
22 on this decision making process.

23 COHON: Thank you.

24 KNOPMAN: Dick Parizek?

1 PARIZEK: Viewgraph 12 is obviously a list of things
2 that need to be done and you said that there will be
3 analogues used to help support the understanding of all of
4 those process models. On Viewgraph 10, you say, well,
5 insights from natural analogues obviously is important to
6 this process. Then, we go on to Steve Brocoum's Slide 9
7 and he has natural analogue studies at Pena Blanca as the
8 planned testing as the only analogue mentioned for which
9 testing is to be done. Now, that implies that all of the
10 analogue studies are done and are mature and can be used
11 to support your process models. I see a disconnect here
12 because I think there's quite a few analogues that may not
13 have been investigated that could have been on that
14 investigation list. So, what happened to the other
15 analogues?

16 VAN LUIK: Okay. We internally put together a
17 natural analogue team. That team pulled together work
18 that had been done by others and in the literature on
19 multiplicity of analogues. That work is being basically
20 farmed out and discussed with the process level modelers.
21 So, there is some information, for example, from Oklo,
22 from Cigar Lakes, and from other analogue sites which are
23 not quite mimicking Yucca Mountain processes, but get
24 insights on those processes and you will hear tomorrow

1 from Bo Bodvarsson and from Joe Farmer from Livermore on
2 their particular process models and what natural analogues
3 they have used not only to sharpen their intuition, but
4 also to kind of guide where they're going. So, what you
5 saw in these two talks is not the only thing to the story.

6 Now, the reality of it is that we had a plan laid
7 out with natural analogue work that we would like to do.
8 The funding realities for next year are restraining us to
9 only do something on Pena Blanca next year. The rest of
10 it will go into the PC plan and will become part of
11 performance confirmation. So, the story is not over, but
12 it's not like we are making broad statements about natural
13 analogues that would only do in one. We've actually done
14 a pretty good survey, I think, of the excellent literature
15 on the international work on natural analogues and seen
16 where it applies to the different models that we're using.
17 So, there's a little bit more to it, but it's not a full-
18 blown international search for natural analogues at this
19 point either. So, it's somewhere in between.

20 KNOPMAN: Thank you, Abe.

21 I have a question. It seemed to me on your Slide
22 11 when you talk about TSPA-SR and then design margin,
23 defense-in-depth, the disruptive processes, etcetera, that
24 there is a certain self-referencing quality here to TSPA.

1 VAN LUIK: Uh-huh.

2 KNOPMAN: So that these are not multiple independent
3 lines of evidence. Everything is getting stacked up in
4 terms of their significance as it gets crunched through
5 TSPA. How do you test TSPA with these various other--with
6 insights from these other sources if you keep going back
7 to the same models as your basis for evaluating their
8 significance?

9 VAN LUIK: There is kind of an inbreeding and it's
10 partly the presenter's fault because my focus is TSPA.
11 But, TSPA is the place where we integrate all that is
12 important out of these other things. The reason I
13 mentioned features, events, and processes in a
14 quantitative evaluation of the FEPs, you know, in a
15 systematic way to create scenarios and to find out what's
16 important in your system separately from TSPA is because
17 part of the reason of doing the features, events, and
18 processes process is to exclude some things from TSPA as
19 not contributing to performance. So, that's why I
20 mentioned it separately here. Those that are excluded
21 will become still part of the safety case because you
22 discuss what the basis is for the exclusion. But, only
23 those that are included will then roll up into the TSPA.
24 So, the safety case will be also a discussion of what is

1 not in TSPA and why it isn't.

2 Design margin, defense-in-depth, of course, the
3 design is going to be rolled up into TSPA. It's part of
4 the system and it's a system performance assessment. But,
5 we will look at the contributions and significance of
6 individual barriers in separate calculations also in TSPA
7 sensitivity studies, but also in separate calculations of
8 the type that I was hedging with Paul on which is, you
9 know, we have done it one way, so far. There may be other
10 ways to do it. But, those will be separate analyses
11 reported in the safety case, but not particularly part of
12 TSPA.

13 KNOPMAN: Okay. That's a longer discussion we can
14 have at another time. Leon Reiter?

15 REITER: Abe, if this will be answered later on,
16 that's fine. But, does the safety strategy and/or the
17 safety case plan to address and evaluate post-10,000 year
18 behavior, and if so, how?

19 VAN LUIK: We were just having a discussion on this
20 this morning. The idea behind a license application is to
21 show that you comply with the regulation that applies
22 which would be Part 63. Both it and 197 say that you will
23 do a 10,000 year quantitative calculation. The safety
24 strategy for the SR and LA may or may not be limited to

1 10,000 years. My idea this morning was that it would be
2 limited to 10,000 years because it's addressing 960 and
3 963 which refers right back to 63 and 197. The discussion
4 we had this morning with Steve Brocoum was, you know,
5 there may be valid reasons for showing something beyond
6 that. So, we had not decided on that. Steve will answer.

7 BROCOUM: You know, when you have a regulation and
8 you have certain legal requirements so you have a legal
9 hat or a technical hat on, you'll meet with the lawyers.
10 And, of course, what they want you to do is put as little
11 as possible to make your case and not do anything that can
12 get you in trouble. But, to get the insight for the
13 10,000 years, you know, and how it's going to perform, we
14 always felt we had to do the calculations out beyond
15 10,000 years. In fact, our current draft of our
16 repository safety strategy does talk about doing analyses
17 out beyond 10,000 years.

18 So, I don't see any difference and I don't
19 foresee any difference in the way we do it in the future
20 than what we've done in the past for doing the
21 calculations. But, we put it in a license application and
22 it may be dictated in some part by, you know, the legal
23 advice, not what we present in our--we'll always have the
24 analyses that will go out as they've gone in the past in

1 my view.

2 VAN LUIK: So, the issue is where do you put these
3 analyses? Do you put them in the documents addressing the
4 regulation or do you put an additional document out with
5 these other analyses that give insight? I don't know.
6 So, it's a policy call waiting to be made.

7 KNOPMAN: Okay. Thank you, Abe.

8 VAN LUIK: Thank you.

9 COHON: And, thank you, Debra. We'll turn now to the
10 public comment portion of our agenda. Before I call on
11 the one member of the public who has signed up, I note
12 that Captain Clark is still with us and I want to express
13 our appreciation for that. He indicated to us that he has
14 a reminder of the fact that he is a member of the Public
15 Health Service and not just on detailed EPA and is on call
16 because of Hurricane Floyd and, I gather, will have to go
17 muster for their purpose soon. So, we especially
18 appreciate your willingness to stay, Captain Clark. I
19 would like to continue the questioning of Captain Clark
20 and EPA with my own question and we'll see if anybody else
21 wants to chime in and then we'll move to you, Judy.

22 I have a question. It's sort of an all-embracing
23 one, but it touches on several points that you made,
24 Captain Clark. It has to do with how the EPA standard

1 anticipates or EPA anticipates that uncertainty will be a
2 concern in the application of the standard or standards.
3 You didn't mention, but we know that with regard to the 15
4 millirem standard, I believe, the proposed rule is that
5 the mean or the median performance, whichever is higher,
6 is to be used. That's one observation.

7 And then, in your presentation--no one else has
8 to refer to this. I just want to give you a couple of
9 things to react to. In talking about reasonable
10 expectation, you made the point that it takes into account
11 inherently greater uncertainty of long-term projects. You
12 made the point that EPA expects reasonable bounds to be
13 considered and later on you make the point that--here's a
14 quote, that it will include a full range of reasonable
15 parameter value distributions. I have not read the
16 standard. So, all I have to go on is your presentation
17 and the summary that I've seen elsewhere. Other than the
18 mean median thing, is there any part of the rule that
19 requires DOE or NRC to use values other than those two
20 things? That is some specific way in which bounding is to
21 be used or the full range of parameter values as you say
22 here?

23 CLARK: I think the only factors that we specified
24 are those that are referred to in the groundwater

1 standards of the two liters per day in the Lathrop Wells
2 location. Other than that, it's essentially up to the
3 implementing agency which is NRC in this case.

4 COHON: Okay. Thank you.

5 CLARK: Uh-huh.

6 COHON: Are there other questions for Captain Clark?

7 (No response.)

8 COHON: Judy, will your comments be--do you have any
9 questions directed to Captain Clark? If not, we can
10 release him from this captivity. Okay. Thank you very
11 much, Captain Clark. We appreciate your willingness to
12 stay later.

13 CLARK: Certainly, and I'm sorry if I caused
14 confusion earlier when I hesitated on my answer.

15 COHON: I understand. I now call on Judy Treichel
16 who asked to be heard.

17 TREICHEL: Was this an effort to make Hurricane Floyd
18 more attractive to Ray?

19 COHON: We may have.

20 TREICHEL: I have two things and one of them is
21 something that you've heard for years and years and years.
22 It's my problem with the word "stakeholder" and it was
23 used twice today; on one slide that Abe had on Page 4 and
24 on Steve Brocoum's Page 13. It's very obvious and it was

1 made obvious to me years ago that stakeholder means the
2 nuclear industry and people argue about that and call me a
3 valuable stakeholder, but I refuse to accept that title.
4 And, the fact that it's used in the way that it is, I
5 think is important because the word "reasonable" gets
6 thrown around and has been thrown around a lot today. Our
7 question has always been reasonable to who? And, I think
8 it's reasonable to the stakeholder, to the nuclear
9 industry, when we're talking--in the way that we use that
10 word.

11 Where I'm going with this is the safety strategy
12 used to be--or the repository safety strategy used to be
13 waste isolation and containment. That was very easy to
14 understand. But, now, we've moved--because Yucca Mountain
15 does not contain and does not isolate waste, we've moved
16 into this safety strategy which is real sort of hazy. As
17 Abe was talking about in his presentation, there's this
18 evolving or changing or the safety case needs to change.
19 And, if Yucca Mountain was isolating and containing waste,
20 safety strategy wouldn't be changing. It would be safe
21 and you wouldn't have a standard that had to meet a test
22 of reasonableness.

23 And, as Lake was--when he got up and commented
24 that if you didn't have a reasonable standard that you

1 might rule a repository in any fresh water environment
2 which I guess makes a distinction between WIPP and Yucca
3 Mountain. And, I don't think that's terribly important.
4 You might, in fact, rule this one out and you don't always
5 have the sort of red herring that gets thrown in where you
6 have the choice and the EIS does this, too, and I
7 certainly will be commenting on it where you get a choice
8 between having Yucca Mountain or having just an abandoned
9 batch of waste everywhere and that's not the case. You
10 don't have to do one or the other. And, Yucca Mountain
11 isn't the only thing that saves you from having abandoned
12 wastes in all kinds of places in the country. I think
13 reasonable people would understand that. And, now, we're
14 down as cruel as reasonably acceptable. I won't even talk
15 about that. That's ridiculous.

16 And, we have the reasonably maximally exposed
17 individual and I don't have any battle with that. I'm
18 very glad that EPA came down in the way that they did
19 that, but this person has to be protected; not reasonably
20 protected, but just plain protected. And, if Yucca
21 Mountain doesn't do that, then we don't need Yucca
22 Mountain or we're certainly not ready for it and that
23 comes into these discussions that were with Steve Brocoun
24 about, you know, supposing in five years, you could find

1 out something important? Well, there's been \$4 billion in
2 15 years. Some people would argue that for many of those
3 years, they were doing the wrong work. Perhaps, not doing
4 it wrong, but doing the wrong work.

5 So, I don't know that you can put a line in the
6 sand and that's the sort of thing that has the public, at
7 least in Nevada and I'm quite sure in other places, too,
8 very nervous about this project and the kind of
9 wordsmithing that goes on.

10 Thanks.

11 COHON: Thank you. Does anybody wish to respond to
12 that or pick up on any of Judy's comments?

13 (No response.)

14 COHON: I would like to just elaborate on one point
15 you made, Judy. This issue of reasonable expectation or
16 reasonable assurance, in this case reasonable expectation,
17 is really something that can't be avoided. You need
18 something like that and that's because of uncertainty. We
19 cannot know and no one can say exactly how this repository
20 or any other repository will behave.

21 So, it's unavoidable that one has to deal with
22 probability and uncertainty. And, what we need is some
23 measure of that or some guidance on it. What we've gotten
24 from EPA is reasonable expectation as we just heard from

1 Captain Clark. The interpretation of that is up to--I'm
2 putting words in his mouth--the NRC. Your point about
3 reasonable expectation to whom is well-taken, but it's
4 unavoidable.

5 Any other comments or questions from anybody?

6 Yes?

7 KESSLER: John Kessler, EPRI. It's along the same
8 lines of the difference between reasonable expectation and
9 reasonable assurance and I think this--and I'm going to
10 ask a question in the form of a comment if Ray would like
11 to respond.

12 Looking to the preamble to the Part 197 standard
13 about what reasonable expectation says and Ray hinted on
14 it again this morning is that you have to look at all the
15 components of the system even if they're highly uncertain
16 and build those into your safety case as opposed to
17 looking at a bounding analysis where you may throw out
18 components of performance because you don't know them
19 well.

20 One example might be cladding. There's been
21 discussion about should cladding be part of the safety
22 strategy or not? The way I read what EPA has just said
23 about reasonable expectation is you put it in. Now, if
24 that's going to be a part of SR and then DOE reserves the

1 right to not have it when it comes to LA, that's fine.
2 Certainly, for SR, it would be nice to put in everything
3 that they believe has some bearing on a safety case.

4 So, I guess the first question for Ray is is that
5 what he means or is that what EPA means when they mean
6 reasonable expectation; is did they expect to see DOE put
7 everything into their safety case that they bring before
8 NRC? That certainly would have some big implications in
9 terms of safety strategy and prioritization and everything
10 else.

11 COHON: Would EPA like to respond to that question?

12 CLARK: I think, basically, John's right. Now,
13 whether everything really means everything, that's
14 probably debatable. I'd certainly have to consult with
15 NRC, I believe. But, all these reasonable
16 factors, there's some basis for.

17 I'll ask Ken Czyscinski then to address that, as
18 well, if I may?

19 CZYSCINSKI: It's basically the applicant's
20 obligation to present the safety case and what they choose
21 to put in or leave out is up to them. They have to defend
22 it in this licensing forum. What we're saying by
23 reasonable expectation is not to a priori eliminate things
24 that may have beneficial performance effects simply

1 because you can't quantify them to high degrees of
2 certainty.

3 For example, if we look at the analysis in the
4 VA, you see the DOE assumed in the assessments that every
5 drop of water that seeps into the emplacement drift
6 contacts the can. This is a very conservative assumption
7 since the width of the can is only about a third of the
8 width of the drift. We don't consider that a reasonable
9 expectation kind of assumption. In addition, they assume
10 that every drop of water that contacts the can is
11 uniformly distributed over the can. Again, this is not a
12 realistic assessment. What will drip on the can will also
13 drip off the can. So, looking at those assessments from a
14 reasonable expectation perspective, we think they're
15 extremely conservative. So, that's the kind of assessment
16 we would advocate as an interpretation of reasonable
17 expectation.

18 COHON: Thank you. Any other questions or comments?

19 (No response.)

20 COHON: Seeing none, we will now take a break until
21 1:00 o'clock. Let the record show we're getting eight
22 minutes more than originally scheduled for lunch. We will
23 remember that in the future when we have to take them
24 back.

1 (Whereupon, a luncheon recess was taken.)

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 A F T E R N O O N S E S S I O N

2 KNOPMAN: Okay. This afternoon's session continues
3 our discussion of the repository safety strategy. Our
4 first speaker is Mike Voegele who is Deputy for Regulatory
5 and Licensing and is with Science Applications
6 International.

7 VOEGELE: What I'm going to talk about this
8 afternoon are the activities that are going on within the
9 program right now of how we're going to implement the
10 strategy to complete the safety case for the site
11 recommendation. We've been following the plan that's in
12 Volume 4 of the Viability Assessment which correlates to
13 repository safety strategy Rev.2 for developing our safety
14 case.

15 The implementation that we're doing started from
16 the 19 principal factors that were the viability systems
17 concept that were in the viability assessment. Right now,
18 what we're doing is evaluating data that we've received
19 since the viability assessment and enhancements that we've
20 undertaken to the design since the viability assessment.
21 We've set out a path to update the set of factors that
22 were in the viability assessment. We used a couple of
23 techniques and a lot of information to do this. What this
24 bullet says is that we used preliminary--for proposed

1 assessment calculation and barriers importance assessment
2 to identify principal factors. As we step through this,
3 you will see there's a fair bit more involved. We
4 certainly used the information that was available from the
5 past several performance assessments, but we also used the
6 knowledge that was resident in the principal investigators
7 who were doing the work on the program, the people who
8 were doing the performance assessment calculations, the
9 designers, as well. What our goal was was to try to
10 prioritize the work to complete the safety case for the
11 site recommendation.

12 The design enhancements that I'm talking about
13 were changes to the viability assessment design. We
14 adopted a more robust waste package. We're looking at
15 including a redundant drip shield to provide defense-in-
16 depth. We're looking at backfill to protect the waste
17 package and the drip shield. We're looking at what we're
18 categorizing as an improved thermal design.

19 This next viewgraph just gives you an example of
20 concepts of defense-in-depth to water diversion. One of
21 more of these may be effective and we'll try to decide
22 that and use it in the site recommendation documents, as
23 well. First of all, there's a possibility of diversion of
24 this infiltration by capillary barrier within the rock

1 system itself. There's a possibility of diversion by the
2 drip shield and there's a third possibility of diversion
3 of the water by the waste package. Just as an example,
4 there are at least three different mechanisms identified
5 there where water could be diverted. So, that's a simple
6 concept of a defense-in-depth type concept.

7 We mentioned that we were updating the factors
8 for the nominal scenario. This is the list of principal
9 factors that were in the viability assessment that
10 correlate to that design. We've augmented that list and
11 generally what the augmentation consists of is to address
12 new design enhancements. So, you'll see that we have a
13 little bit of change down here in the engineering
14 components, as well, and addressing new data components.
15 So, they're focusing a little bit in this particular table
16 details of what might have been a single item in the VA.
17 A set of principal factors might be uncoupled a little bit
18 here to allow us to look in more detail at components of
19 those principal factors.

20 As I mentioned, our goal was to prioritize these
21 factors, to use them as a driver for the work that we
22 believe needs to be completed for the site recommendation.

23 It was really conducted around not just the barrier
24 importance analysis, not just the information that we had

1 in total system performance assessment, but we used the
2 scientists, engineers, the PA staff, the regulatory staff
3 on the program who have in their minds and who have
4 through their research looked at what the important things
5 are in terms of determining the performance of a
6 repository at Yucca Mountain. We started from the
7 preliminary TSPA. We used the variability assessment and
8 performance assessment calculations. We used information
9 that had been gathered from previous performance
10 assessment calculations and, you know, we were talking
11 just a little while ago how I would characterize this. It
12 certainly was a total system performance assessment and
13 base calculation that was looking at enhancements over and
14 above the VA. It is not something at the level that Bob
15 Andrews is talking about having done to support the site
16 recommendation. So, you know, it's maybe TSPA-VA, one and
17 a quarter or maybe one and a half. It's certainly not
18 where this thing has to be as opposes the performance
19 assessment. If I used the word "TSPA" to describe any of
20 the curves I'm going to show you this afternoon, please
21 correct me because they are not that. They are not
22 compliance evaluations. They are not equivalent to what a
23 TSPA has to be. They were calculations that we used to
24 inform ourselves on what might be important to

1 performance.

2 KNOPMAN: Mike, excuse me. Could you adjust your
3 microphone because your voice is coming in and out and I'm
4 having a little trouble hearing.

5 VOEGELE: Okay. Where would you like it?

6 KNOPMAN: Just get it more in the middle.

7 VOEGELE: More in the middle. Better? You want it
8 up, he wants it down.

9 KNOPMAN: Up, no--every time you turn your head--

10 VOEGELE: I understand. Yes, no? It's going to get
11 you again every time I turn my head. Okay. I'll just
12 talk louder and let you pick it up from down on the lapel.
13 Is that better?

14 SPEAKER: Yeah.

15 VOEGELE: Okay. The most important thing that the
16 scientists, engineers, and PA staff contributed to our
17 prioritization of the factors was their knowledge of model
18 uncertainties and the limitations that existed in the
19 preliminary analysis that we were using. I hope that I
20 can make that clear to this group that it was not simply
21 the barrier importance analyses, it was not simply the
22 results of total system performance assessment that we
23 used to look at priorities and those factors. Probably
24 more important were the principal investigators' knowledge

1 of the model uncertainties and the limitations of
2 preliminary analyses. Abe Van Luik this morning
3 emphasized this is an ongoing process, that we expect to
4 do more with this, and we have already identified from
5 working with the principal investigators areas that we
6 need to look into this more carefully before we complete
7 the performance assessment for site recommendation.

8 We tried to assess our understanding of what the
9 current confidence is in the data and what would be needed
10 to determine the factors needed for an adequate safety
11 case. Our objective was to focus our work on the most
12 important factors and the adequacy of information from the
13 safety case for site recommendation and license
14 application. So, again, this is not a compliance type
15 performance assessment calculation. It is an evaluation
16 that was done to inform ourselves on what were the
17 important factors.

18 This is an example of one of the types of
19 analyses that we did to look at the enhanced design, the
20 design that followed the viability assessment. There are
21 about three or four things that are illustrated on this
22 charge. One of the most important ones is if you just
23 look at no barriers at all, solubility limited to
24 releases, the natural barriers themselves are effective in

1 reducing the estimated dose rates by eight orders of
2 magnitude. The remaining dose rate is due to a relatively
3 small number of radionuclides less than .004 percent of
4 the total by dose, by mass, by curie content, whatever you
5 want to do. The less then takes care of that. So, it's a
6 very small amount of the remaining material that's not
7 taken care of by the natural system in this analysis. I
8 will emphasize you will probably hear things in both Bo
9 Bodvarsson's presentation tomorrow afternoon which are
10 things that will eventually get into performance
11 assessment calculations that would have changed these
12 results. These are relatively conservative. They're
13 nominal case. They look more like the VA than I believe
14 the PAs that will be done for site recommendation will
15 look.

16 In this analysis, we used a waste package and a
17 drip shield to address that residual. And, as you can
18 see, looking at the releases in this analysis from the
19 natural barriers only, this is the natural barriers
20 release. If you have natural barriers waste package and
21 drip shield, you have no releases for 100,000 years. And,
22 if you have just the natural barriers and the waste
23 package, take the drip shield out, this is what the
24 release might look like. That gives you an indication as

1 to the importance of the engineered components in this
2 analysis.

3 So, let me talk a little bit about this barriers
4 importance assessment that we used. It's a technique
5 where we took the performance contribution of a component
6 of the system completely out of the system. So, this is
7 not a probabilistic distribution of the performance of
8 these components. We totally cut the performance of
9 components one at a time out of the system to see how that
10 affected the performance. So, this is a specialized
11 sensitivity study in which the effect is omitted from the
12 calculation to determine its importance of that
13 calculation. They are not expected performance
14 calculations. We only did them to get some insight as to
15 what the importance was. We looked at additional insight.
16 We looked at the nominal performance case. We also
17 looked at the unanticipated early failure of a waste
18 package to gain additional insight.

19 Okay. This is one where we call this a
20 preliminary barriers importance assessment. The base case
21 in this nominal case gave zero release for 100,000 years.
22 Individual neutralizations of all but two of the barriers
23 also gave zero release. That is the beginning of an
24 indication that either the barriers are unimportant to the

1 total performance or they are backed up by other barriers.
2 That's about all you can judge from that calculation. If
3 that is true, if a barrier is unimportant to performance,
4 the eventual compliance demonstration may not be sensitive
5 to unresolved issues from the barrier. That was what we
6 were seeking. We were trying to understand how well we
7 could develop an argument that would, say, for instance,
8 that if you are placing reliance on six or seven or eight
9 of these barriers, the other nine, 10, 20, whatever your
10 total number turns out to be how you package them, may not
11 be as important in your compliance determination
12 eventually. And, I'll emphasize it again. What this tool
13 was was an investigation to let us gain some preliminary
14 insight into how that might work.

15 Individually, only the waste package and the drip
16 shield neutralizations gave any contribution for 100,000
17 years. Now, within this particular evaluation when you do
18 the waste package neutralization which is this blue curve,
19 you have diffusion controlling up until the point of about
20 10,000 years and that represents in this evaluation the
21 failure of the first drip shield. So, that's why you get
22 a peak in this particular curve at that point in time.
23 So, you're looking at diffusive releases down here and
24 then when the drip shield fails, remembering that you've

1 got the waste package containment neutralized, this is
2 what happens. If you do it the other way around, if you
3 neutralize the drip shield, this is the type of
4 performance you get. It's a strong performance in the
5 nominal case of the waste package. So, in the waste
6 package neutralization, that 10,000 year number is a
7 result of the failure of the first drip shield.

8 Again, I want to emphasize this. This is not
9 expected performance, but this suggests that uncertainties
10 in the waste package performance are important. I think
11 that is something that you would have concluded for
12 yourself in looking at the sensitivity studies and all of
13 our previous performance assessment calculations. We just
14 look at it again from this perspective.

15 We repeated these analyses for a juvenile waste
16 package failure scenario. This was one to try to
17 understand again and give a different perspective on it if
18 we have a failing waste package. Again, we looked at
19 neutralizations of the natural barriers up in here. We
20 looked at the saturated zone and the unsaturated zone.
21 The overlying rock is the unsaturated zone above the
22 repository horizon compared to the base case. And, you
23 can see not very much difference other than for the
24 saturated zone. If you look at the neutralization of the

1 engineered barriers, they're a little bit more difficult
2 to sort out. The colors will help. The waste package
3 again is blue, the cladding is this maroon/purple color,
4 the drift invert is this green color, base case, and the
5 red should be the drip shield as before.

6 When you look at that information, the base case,
7 it releases at about 10,000 years which is again when the
8 drip shield failed in this particular evaluation. No
9 other releases occurred for 100,000 years. When you look
10 at neutralizing each natural barrier, you get minor
11 changes from the base case because the barriers are
12 relatively redundant with each other. We're going to look
13 at a case where we looked at all the barriers together on
14 another slide to help give us some more insight, but
15 generally the barriers in this situation are redundant
16 with each other. There's very little difference.
17 Neutralizing the engineered barriers; the waste package
18 neutralization gave the largest change, cladding was less
19 important, and the other changes we categorized as
20 relatively minor. So, here is the base case, this dark
21 colored line. The waste package gives the biggest change
22 when you take it out of the system and then the cladding
23 is the next highest one. But, relative to orders of
24 magnitude of change, the waste package is the more

1 important one in this analysis.

2 Okay. In this one, we looked at the natural
3 barriers more as a combination to provide retardation
4 capability. In the nominal case, they contributed very
5 little because the radionuclides remained in the waste
6 package. After the waste package fails, they're very
7 important. Under all conditions we looked at, retardation
8 was very important and solubility was less important, but
9 again it, especially in the longer time frames, has a
10 significant contribution, a couple orders of magnitude.

11 Okay. So, what we did in these prioritization
12 workshops, the gathering together of a lot of the project
13 scientists to look at this information, we looked at our
14 assessments of current confidence, what we knew about the
15 information related to those models, what we might need to
16 enhance confidence in those models, and we made a working
17 conclusion that the analyses that we had done suggested
18 that there's probably a high likelihood of adequate
19 margin, but they relied very heavily on the waste package
20 and the drip shield. This working group also concluded
21 that that confidence probably would not be adequate for
22 the site recommendation unless the natural systems could
23 be demonstrated to contribute significantly, as well. So,
24 in addition to the engineering components that looked to

1 be important, seepage, retardation, and dilution were also
2 concluded from the results of these workshops to be
3 important factors.

4 Now, Abe told you this morning that he wasn't
5 prepared to talk about the seven principal factors. I
6 have them on a slide here, but I would like to just
7 caution you that this is work-in-progress. The document
8 has not been reviewed by the Department of Energy and this
9 is subject to change. Basically, what I have told you--
10 remember, let me emphasize again it was our previous
11 knowledge of sensitivity studies done in the performance
12 assessment calculations that have been done and was the
13 barrier importance evaluations that we did to support this
14 with the enhanced design features incorporated in them at
15 some level. It was the understanding of the principal
16 investigators about needed confidence and weaknesses in
17 the models where there was need for improvement that led
18 us to conclude that seepage into the drifts, the
19 solubility limits of dissolved radionuclides, dilution of
20 the radionuclide concentrations, retardation of
21 radionuclide migration in the UZ, SZ, performance of the
22 waste package barriers, and the performance of the drip
23 shield appeared to contribute more to repository
24 performance than what I've called the other factors down

1 here.

2 I think I would like to leave it at that. This
3 is
4 --it's work-in-progress. I will again state probably to
5 the point of having to beg your forgiveness for having
6 said this too many times, this is not performance
7 assessment. This is a calculation that we did to try to
8 peel apart some of the onion layers to understand what
9 were the big contributors to performance at our site.

10 Okay. We are in the process of using those
11 factors to prioritize our remaining technical work. So,
12 the testing analyses are focusing primarily on principal
13 factors and sensitivity studies to examine potential
14 simplifications in the non-principal factors. What we're
15 talking about there is downstream, long-term, going into a
16 license application environment, trying to build the
17 simplest, clearest, most defensible argument that we can
18 to convince our regulator that we have adequate margin to
19 meet his standard, that is typically done by
20 simplifications to a large number of components in the
21 system and focusing on what I've called the principal
22 factors here. I believe we have a fair amount of work to
23 get done before we get to there and I think you're going
24 to hear Bob Andrews tell you a little bit more about how

1 we will be dealing with this in the context of the site
2 recommendation.

3 We are also addressing what we have identified as
4 opportunities for enhanced performance; the seepage
5 threshold, cladding performance, and the canister
6 performance. In the viability assessment, we had a carbon
7 steel and a stainless steel. In this new design, we have
8 two stainless steels and there's a question about whether
9 you should try to take credit for the corrosion
10 performance of both of those stainless steels. Because of
11 the similarity in mechanism, it may be hard to argue that
12 one of them is providing defense-in-depth of the other
13 one. So, that's an additional issue that we have to
14 address. The work scope that we've developed is reflected
15 in the plans for the Process Model Reports and the
16 associated analysis and model reports.

17 We have a fair amount of work to do. I had
18 mentioned that workshops that develop the prioritization
19 tables that I just showed you still have some unresolved
20 questions that we are working. I think that Abe showed
21 you a chart this morning and Steve made a comment that we
22 would have another rev to this repository safety strategy
23 out by next spring. I think that's very real. I think we
24 need to do that. We'll have new information supporting

1 the performance assessments. We'll have better
2 information on the design. We'll have better calculations
3 upon which to look at this. We also have to look at our
4 completion of the screening for the features, events, and
5 processes that are important to repository performance to
6 confirm the identification of principal factors. We have
7 to complete our model development for these principal
8 factors and analyses to support the simplification of the
9 non-principal factors. We need to address how we're going
10 to incorporate parameter and model uncertainty into the
11 total system performance assessment. We have to complete
12 our representation of the disruptive events. Those of you
13 who were looking at that table as I flashed it up there
14 briefly will notice it did not have the disruptive events
15 on it. We have to complete our performance confirmation
16 plan to understand how those pieces fold in.

17 We have things to do beyond that, as well. We
18 are going to update the strategy after we do the
19 additional analysis for the site recommendation effort, to
20 incorporate those parameter and model uncertainties that
21 are identified, and additionally to incorporate the
22 results of the screening of the features, events, and
23 processes. We need to finalize the principal factors for
24 the SR safety case so that we can clearly articulate

1 exactly how we're going to develop the safety case that
2 Abe talked about this morning. We would like to finalize
3 the areas for simplification that would be appropriate for
4 our license application safety case. There's a
5 possibility that as the design evolves, as our performance
6 confirmation strategies evolve that that could also have
7 an effect on how we develop our safety strategy.

8 So, with that, I will take your questions.

9 KNOPMAN: Thank you.

10 Dan Bullen?

11 BULLEN: I'm a little bit perplexed by the
12 presentation because if you take a look at your Slide #10
13 and you look at the neutralization of the engineered
14 barriers, you'll see that the spent nuclear fuel cladding
15 seems to have a significant impact and yet you say that
16 it's the neutralization of the waste package in the drip
17 shield that has the most significant effect on the long-
18 term safety case. Could you tell us how you dealt with
19 cladding? Is there cladding credit taken for all the
20 analysis that includes the neutralization of each of the
21 barriers or--

22 VOEGELE: Yes. Yes.

23 BULLEN: Okay. So, there's cladding credit
24 throughout the whole thing?

1 VOEGELE: There would be cladding credit throughout
2 the whole thing, right.

3 BULLEN: Okay. So, did you do the analysis that said
4 we neutralized cladding in addition to everything else or
5 is cladding always going to be there to--

6 VOEGELE: What you're looking at here are individual
7 neutralizations of the barriers. We haven't done a lot of
8 the coupled ones or we would take the waste package and
9 the cladding on, for example.

10 BULLEN: Right. But, I guess the question that I
11 have for you is that in the previous slide you said that--
12 which is #9--that waste package neutralization--well,
13 let's see, only waste package and drip shield
14 neutralizations give any contributions for 100,000 years.

15 VOEGELE: Yes.

16 BULLEN: That means that if you essentially
17 neutralize everything except the drip shield and that you
18 also neutralize cladding? Does that give you a release?

19 VOEGELE: These are--

20 BULLEN: I mean, these are just everything but,
21 right?

22 VOEGELE: Yeah, these are individual ones. You're
23 going to ask me to speculate in which case I'd probably
24 ask Bob Andrews to--

1 BULLEN: Well, I was just going to ask Bob this. In
2 this case is there cladding credit or not?

3 ANDREWS: In these cases, there are cladding credit,
4 yes.

5 BULLEN: Okay.

6 ANDREWS: These are individual neutralizations.

7 BULLEN: Okay. Thank you.

8 KNOPMAN: Dick Parizek?

9 PARIZEK: On the list of Page 13 of other factors,
10 colloid migration was included as another factor. What's
11 the basis for that dropping out as not being that
12 important? Is it something new in the program or, say,
13 Calico Hills experiments that show that?

14 VOEGELE: I'm going to be able to answer that from my
15 perspective in the meetings and that was not--that was
16 discussed in the meetings, but it was never demonstrated
17 in these analyses that it had a significant contribution
18 to performance.

19 PARIZEK: I didn't know whether the experiments had
20 gotten far enough along to be able to say that you can't
21 get colloids from here to there.

22 VOEGELE: I guess, I could ask Bob or Bo if they'd
23 care to comment on that?

24 ANDREWS: The colloids were incorporated in this

1 model with the same assumptions used in the VA. Those
2 colloid models are being revised based on new information
3 both laboratory and NTS specific information that the
4 folks at LANL are collecting and interpreting and revising
5 the models, essentially. So, those revised models will be
6 incorporated in the SR. They're not reflected in this
7 particular set of analyses, though.

8 PARIZEK: Thank you.

9 KNOPMAN: Alberto?

10 SAGÜÉS: Yes. Do I understand from the examples that
11 you gave that drip shields should only be "needed" in case
12 of waste package juvenile failures? Like, if there were
13 no waste package juvenile failures nothing would be
14 happening for like, say, 70,000 years or so?

15 VOEGELE: That's a correct conclusion from these
16 analyses. I don't think I'm prepared to say that that is
17 defensible in either of the two arenas that we have facing
18 us.

19 SAGÜÉS: I see. I see. Is there any way of
20 quantifying in all these analyses the fact that, you know,
21 we're talking about titanium drip shield nowadays. I'm
22 talking about buried titanium basically and--buried
23 titanium. As far as I know, there is virtually no
24 experience anywhere for half buried titanium for probably

1 no time, let alone one or two years.

2 VOEGELE: Right.

3 SAGÜÉS: The fact that we are taking a material in a
4 set of conditions for which there is virtually no
5 experience, is there any way of including that fact in
6 this analysis to account for the uncertainty that results
7 from this situation?

8 VOEGELE: I think the best way to answer that
9 question is to tell you that we identified it as a factor
10 which is important to performance which makes it a high
11 probability candidate for doing the types of experiments
12 that you're talking about. What we're trying to do here
13 is identify that there is more benefit to our long-term
14 performance demonstration from the components up here than
15 apparently to the components down here. So, this is
16 identifying the need to strengthen our ability to defend
17 the titanium drip shields, if you will.

18 SAGÜÉS: Yeah, I guess, I mention this because more
19 than the strengthening ability to see what is going to
20 happen, I would say to create the ability to do that. Of
21 course, at this time, there is virtually no engineering
22 really base to rely on that. Engineering really based on
23 actual experience.

24 KNOPMAN: Priscilla?

1 NELSON: Can you give me some examples of the kinds
2 of simplifications you might be thinking about achieving?

3 VOEGELE: Right. Well, the ultimate goal would be to
4 find a way to simplify the presentation and that would
5 mean if we can find an absolute bounding number, pick one,
6 you know, net infiltration above the mountain, that said
7 we could demonstrate convincingly that the infiltration
8 would never go above this number, then we would try to
9 build an argument that said we don't need to look at the
10 probabilistic distribution of those results because we
11 will bound it by number which we all will agree is one
12 that can't be exceeded. So, if it meets the performance
13 with margins without considering the true performance of
14 that system, but rather by bounding it, a number that it
15 can't be bigger than, that would be something that we
16 could simplify the analyses.

17 NELSON: Okay. So, that's really like the option of
18 removing a variable almost?

19 VOEGELE: It's in the other direct--it's removing,
20 but in a slightly different sense. It's saying that we're
21 willing to accept performance that is poorer. Then, we
22 might be able to demonstrate through a continued test
23 program, and by doing that, we will save the effort needed
24 to demonstrate that and put that effort into another

1 component where we might have more potential for return on
2 the investment.

3 NELSON: Do you imagine combining any of the models
4 for factors because you see them moving or impacting
5 similarly or would you do it focusing on one model for one
6 factor at a time? Is that the kind of simplification?

7 VOEGELE: Well, there are at least three parts to
8 this. First of all, there's a difference between what will
9 be going in the site recommendation documents and what we
10 would envision could eventually go into a license
11 application document. I think that the prospect of a lot
12 of simplification is more attractive for the license
13 application document as opposed to the site recommendation
14 document. So, expect probably more realistic
15 representations of materials--or of the components in the
16 site recommendation document.

17 NELSON: And, it seems pretty important that such
18 simplifications be kept track of for performance
19 confirmation consideration?

20 VOEGELE: Yes. Yes. Yeah, I think that that
21 question was actually at the table this morning from Dr.
22 Bullen. You know, it has to do with developing a
23 performance confirmation program to provide insights maybe
24 to more information that it might seem on the surface. I

1 mean, performance confirmation ultimately is something
2 that's negotiated with your regulator in terms of what do
3 you need to do to provide confidence that the conditions
4 that have been set forth in your license are, in fact,
5 going to be met and the performance confirmation provides
6 a way to do that. And, depending on how those conditions
7 are articulated, it may be appropriate to do measurements
8 more like what Dr. Bullen was suggesting this morning.
9 Something that goes beyond the conditions of the license
10 which could result in not only confidence that the
11 conditions were correct, but it could also result in
12 changing of the conditions eventually as you got this
13 information that said perhaps under an even more
14 aggressive environment it performs better than we would
15 have thought before we did that testing; therefore, you
16 might be able to relax that condition on the license.

17 KNOPMAN: Paul?

18 CRAIG: Mike, this is a question that really follows
19 on behind Dr. Sagüés, but I want to focus on the canister.
20 Your analysis says you now appear to rely almost entirely
21 on the waste package and drip shield to provide an
22 adequate margin. In fact, when I look at your #7, I see
23 that the natural barriers according to your analysis would
24 give 10r/yr in the pre-10,000 years rising to about

1 100r/yr in the 20,000 or so period. So, clearly, you've
2 got to have the engineered barriers and they have to do a
3 lot. Now, with respect to the C-22 and the canister,
4 there's been a lot of work on corrosion of the plain
5 material, the unstressed material. But, at some stage in
6 the game, you're going to have to weld these things
7 together.

8 VOEGELE: Yes.

9 CRAIG: And, my question is where do you stand in
10 analyzing the behavior of stressed C-22 in the Yucca
11 Mountain environment? Can you defend the idea that those
12 will not be subject to corrosion?

13 VOEGELE: No, the last thing I would try to do is to
14 defend the idea that with the information we have today
15 that those won't be subject to corrosion.

16 CRAIG: Well, what's the time table for getting that
17 and will you have it before you--

18 VOEGELE: --probably can ask that question is Jim
19 Blink, and if he's gone, I'm in trouble. Oh, Joe Farmer,
20 okay. Joe, would you mind? While Joe is walking to the
21 microphone
22 --he's not in here? Okay.

23 CRAIG: Well, he may talk about it tomorrow.

24 VOEGELE: Please, let me--at least, let me respond to

1 the observation that you made on that chart. I beg your
2 indulgence, but that was not meant to be a compliance
3 evaluation. The last thing in the world I wanted you to
4 conclude from that chart was that we are trying to show
5 that we can meet a particular standard. I was trying to
6 use these as indicators of how we gained insight. There
7 are many additional benefits, I believe, that are going to
8 be into the PA models coming from data that's coming in
9 right now. You're going to hear Bo talk about some of
10 that tomorrow. There are changes. I mean, Bob probably
11 will talk about potentials for enhancing the models that
12 we use. These were, quite simply, the VA models with all
13 of their faults and conservatisms. Then tended to be
14 nominal. There may be much better performance in that
15 natural system than we used in these charts. I just want
16 to make sure that I don't--

17 SPEAKER: Well, there might be worse--

18 VOEGELE: That's true, there might be worse
19 performance, also.

20 KNOPMAN: Jeff Wong?

21 WONG: My question sort of jumps around between three
22 slides. On Page 12, Bullet #3, you say that your
23 workshops conducted that the confidence would not be
24 adequate for SR unless you could find out more about the

1 natural systems. And then, on Page 13, you list some of
2 the principal factors that you're interested in. Then, on
3 the second bullet on Page 14, you talk about opportunities
4 for demonstrating enhanced performance. And, it looks
5 like you're going to rely on again the engineered system.

6 What more do you think you need to demonstrate that the
7 natural system is contributing significantly?

8 VOEGELE: Well, I think that Bo Bodvarsson would tell
9 you that matrix diffusion is a potential big contributor
10 here. That's something we're just getting information and
11 I'm not going to pretend to steal any thunder he might
12 have for tomorrow if he's going to talk about that. The
13 seepage threshold is a natural barrier component. Within
14 the principal factors that we put down, the saturated zone
15 performance, the retardation in the unsaturated zone, in
16 the saturated zone, as well, the solubility limits, the
17 seepage in the drift, quite a bit of that is focused on
18 the natural barrier if you want to put Slide 13 up.

19 WONG: Right. I'm saying what more information do
20 you need physically?

21 VOEGELE: Physical test information?

22 WONG: Right.i

23 VOEGELE: Okay. I think, Jean is going to talk about
24 that yet this afternoon. But, she's going to go through

1 this same set of information with respect to which test
2 programs are addressing this and what kind of information
3 we're trying to gain.

4 KNOPMAN: Jared?

5 COHON: I have a question about this chart actually
6 and the implications of it. You may have covered this and
7 I missed it. If I'm going over old ground, I apologize.
8 But, as an example, the first five other factors in
9 climate through coupled processes, clearly are linked to
10 the first principal factor, seepage into drifts.

11 VOEGELE: Right.

12 COHON: Is the implication of this characterization
13 that from this point on, you're going to focus on the
14 parameter of seepage in the drifts without worrying too
15 much about why seepage would be some number other than
16 another number? That is you're not going to put too much
17 in climate or any of these other factors?

18 VOEGELE: I wouldn't say we would not look at them,
19 at all. What I would say this indicates to you is that of
20 the triad or quadruple, whatever you call that, of these
21 things that start with climate, net infiltration, UZ flow
22 of the repository, and seepage into drifts, the one to
23 which performance is most sensitive is the seepage into
24 the drift. I think that's what all this is telling you.

1 That given a wide range of climate scenarios, how much of
2 that actually drips onto a waste package is more important
3 than the variability in the climate itself.

4 COHON: It seems to me to have confidence in any
5 particular seepage values though, you'd have to have some
6 appreciation for what's driving that seepage number like
7 climate, net infiltration, UZ flow, etcetera.

8 VOEGELE: Right.

9 COHON: So, I'm just wondering in terms of what you
10 do day to day, that is the analysis you're going to go
11 through now, I'm wondering if this is setting you up then
12 to focus just on the seepage number without worrying about
13 these five other factors which underlie or integrate into
14 the seepage?

15 VOEGELE: I would say that the answer to that is no.
16 I think, Bob--are you going to cover that in your next
17 talk? Okay. The talks are set up. I think, Bob will
18 address that, as well, because he's got some charts that
19 show basically what this means in terms of PA space.

20 COHON: All right. Could we go to Slide 10, please?
21 Could you explain the drift invert and how it contributes
22 to performance?

23 VOEGELE: Oh, it would just simply provide a
24 diffusive variable of the waste package.

1 COHON: And, what's the assumption for its
2 composition? What's it made of?

3 VOEGELE: Did we get the ballast, the gravel ballast
4 into this? Probably a tuff gravel ballast.

5 COHON: Okay. I've been sitting here looking at
6 these trying to develop some insight and understanding
7 into the system and how it operates. I'd like to try
8 something out on you and see whether I'm way off base or
9 not. This is a gross generalization, but let me try it
10 anyhow. It's tempting to say that the effect of the
11 natural barriers generally is to shift in time what the
12 dose would be. Whereas, the timely effect of the
13 engineered barrier is not only to affect time is to affect
14 the amount, the magnitude of the dose. Now, I know there
15 are exceptions to that. But, would you sort of go along--
16 delays the waste pack, the engineered barriers control
17 magnitude. Could you put, I think, it's #7 or 8? I have
18 them all over the--

19 VOEGELE: Probably 7. 7, yeah, I believe so.

20 COHON: Right.

21 VOEGELE: And then, could you put--I think I probably
22 can answer it from this. It is attempting to say that the
23 engineered components shift these in space just as you had
24 concluded that the natural barriers shifted in space.

1 Okay? Now, this is complicated by the fact that a lot of
2 these curies here are decaying away. They're much shorter
3 lived curies that are decaying away at that point in time
4 and what's coming in are some of the daughter products at
5 the later point in time. So, you'd have to separate the
6 decay process and the ingrowth process from your
7 conclusion about whether that's actually shifting it out
8 to a later time. I don't know if that points out an
9 answer to your question, but--

10 COHON: No, it is. It is.

11 VOEGELE: Okay.

12 COHON: Thank you.

13 KNOPMAN: Dan Bullen?

14 BULLEN: At the risk of beating a dead horse, let's
15 go back to 13 again.

16 VOEGELE: Okay.

17 BULLEN: Let me ask a couple of quick questions. I'm
18 assuming and it's going to sound even worse when I say
19 cladding again, but is the cladding credit in the civilian
20 spent nuclear fuel waste form performance? Is that where
21 you want it?

22 VOEGELE: Yes.

23 BULLEN: And, I guess, the question is if you're
24 taking cladding credit always and yet you're looking at it

1 as an enhancement in other--addressing particular
2 opportunities for enhanced performance as cladding
3 performance, how can it not be a principal factor? I
4 guess, I want to know how the process went that cladding
5 didn't end up being a principal factor in your evaluation?

6 I mean, maybe you don't know the answer to that, but--

7 VOEGELE: Oh, I think a lot of it has to do with--
8 remember that this is more than just a neutralization
9 analysis. These are the principal investigators and
10 scientists' perspectives on the model uncertainties and
11 the data uncertainties, as well, and I think there is a
12 real concern about ever being able to demonstrate a lot of
13 performance from the cladding. The cladding could easily
14 turn out to be one where we could reach through some
15 negotiation process and some testing process a limit that
16 says you can have--you know, the best way to treat
17 cladding is to assume one pinhole failure in each rod and
18 then treat it that way. That is a simplification type
19 analysis as opposed to something up here. But, we're
20 talking about trying to focus the program's efforts on
21 understanding the intricacies of the performance. I think
22 that also is a reason why it would split. Cladding is
23 actually, I think, on the list of things that--there are
24 particulates on Page 14. It is one the list--it is one

1 which is a candidate to flip up there on top.

2 BULLEN: Well, that is the one that I called upon
3 because it seems to me that all the analyses we had seen
4 previously you had already taken cladding credit. So, it
5 should have been a principal factor. And, I guess, to see
6 it either--I mean, waste form performance is something
7 that you can take credit for if you can quantify it. My
8 only concern about civilian spent nuclear fuel cladding
9 credit is that it's going to be a real bear to go and try
10 and license any performance for it. If you want to
11 indeed, however, in all your analyses taking cladding
12 credit, then you've already made it a principal factor,
13 haven't you, or is it--

14 VOEGELE: No, I think again I have to call your
15 attention that these were not compliance evaluations;
16 these were scoring calculations to give us insight. And,
17 what this led us--this together with the information on
18 data, availability, and model uncertainty did not--nobody
19 in our working group was willing to follow the sword to
20 argue that cladding should have been a principal factor.

21 COHON: Okay. But, you know, cladding was used in all
22 the analyses prior to that--

23 VOEGELE: Exactly. What we were really telling you
24 is we think we understood the difficulty in eventually

1 demonstrating that performance in a compliance evaluation.

2 COHON: Okay, thank you.

3 KNOPMAN: Bill Barnard?

4 BARNARD: Mike, on Slide 13, the principal factors,
5 are they listed in order of importance?

6 VOEGELE: No. These?

7 BARNARD: Yes.

8 VOEGELE: No, they're listed in their order of top of
9 the mountain down to the water table and out. We just
10 pulled them up and lifted them up there.

11 BARNARD: Is it possible to list them in order of
12 importance?

13 VOEGELE: Based on this evaluation, you would
14 conclude it's probably the waste package and the drip
15 shield.

16 BARNARD: Okay.

17 VOEGELE: Those are good for four or five orders of
18 magnitude in this evaluation. The combined retardation is
19 also about four as a magnitude. So, it's not that far
20 behind int his evaluation.

21 BARNARD: Okay, thank you.

22 KNOPMAN: Any further Board questions?

23 (No response.)

24 KNOPMAN: I have one question, Mike. The coupled

1 processes that are on the other factors list, I assume you
2 mean they're thermal--where you're getting hydrothermal
3 processes.

4 VOEGELE: Right. Yes.

5 KNOPMAN: Is it a fair characterization to say that
6 as a consequence of the design evaluation process that you
7 just went through and the possible relaxation of the
8 closure period, the day of closure, that those factors
9 bumped down to the other factors, but for had you not made
10 that alteration when you were assuming closure of the
11 repository, the coupled processes very much would have
12 warranted a designation of principal factors?

13 VOEGELE: It's tempting to say yes, but I don't think
14 so. I think that the situation here is one that we have
15 not looked at great details on what happens within these
16 components and these models. So that our neutralization
17 analyses at the level we did them were not capable of
18 really separating the results out of this, as well. There
19 are some unanswered questions within our group about how
20 to do some analyses to investigate whether or not there
21 are thermocouple effects that should be considered as
22 principal factors. I think it's--I can no longer tell
23 where I am. It's one of the earlier pages where we talked
24 about the--well, I give up. One of the pages in these

1 viewgraphs talks about--I can't find it. If you'd give me
2 a minute, maybe I can give you the answer later. But,
3 enhanced thermal performance is something that has not yet
4 been completely factored into this. Remember, these are
5 the VA models with what little simplifications we--what
6 additional model tweaking we could do to try to capture
7 the EDA II design.

8 KNOPMAN: But, isn't your changing view of what the
9 design is likely to be affecting your--

10 VOEGELE: Absolutely. That's why I said I'd like to
11 say yes.

12 KNOPMAN: Okay.

13 VOEGELE: There are some more investigations that
14 need to be done through PA sensitivity calculations or
15 through these types of evaluations to further investigate
16 that.

17 KNOPMAN: Okay. Any further questions?

18 DI BELLA: Could you turn to Slide 4 for a moment?
19 I'd like to call your attention to that left most figure
20 where you have water dripping down to the repository drift
21 level whereby capillary action it moves to either side.
22 And, I think there's absolutely no question that that will
23 happen if the drift is in perfect shape and the
24 infiltration rate isn't too terribly high, but it can be

1 pretty high. However, more likely, what's going to happen
2 over time and because of thermal, mechanical, and seismic
3 related forces, you're going to have changes in the
4 contour of the roof, you're going to have collapse. My
5 question now is what sort of experimental work is planned
6 to see how that is going to affect one of your principal
7 factors, that is seepage into the drift?

8 VOEGELE: I don't know if Jean's presentation has
9 that much detail in it or if Bo is going to--Bo has left
10 the room conveniently. Now, there he is. Do you want to
11 comment on that, Bo? I guess, while Bo is walking up
12 there, I'll at least comment that the process that results
13 in this piece of rock degrading is going to result in the
14 piece of rock above it strengthening and closing fractures
15 as it builds an arch to carry that load. It's not just a
16 definite given that as this rock begins to unravel that
17 the cracks are going to get extended to the ground
18 surface. There's a better situation where the load above
19 it will be carried by effectively an arch and compression
20 above that opening which will close the fractures.

21 BODVARSSON: I've been thinking about the best way to
22 address this and this is a very good question as with
23 laboratory experiments where you can actually control
24 exactly the shape of the opening even though we have to

1 scale it up to a drift scale. The project is performing
2 rockfall studies, both for modeling studies and also some
3 work that indicates that there are two ways you can go;
4 either you can go--the seepage performance and that you
5 will more and more likely get low seepage or it can have
6 individual rockfall depending on the fractured surfaces.
7 The project is looking at both of these options with
8 models and also planning some laboratory experiments.

9 KNOPMAN: Thank you.

10 Any further questions?

11 (No response.)

12 KNOPMAN: Okay. Thanks, Mike. I'm sorry?

13 ORESKES: I have a question about Figure 10 under the
14 engineered barriers. You talk about the other changes
15 besides the waste package neutralization and the cladding
16 as being "very minor". But, if you look at your graph, it
17 seems that the main effect of the drift invert and the
18 drip shield is to shift the timing of the first release by
19 quite a significant amount and up to, say, 2500 years
20 versus 10,000. So, I'm just wondering how you understand
21 that? I understand that the magnitude of the changes very
22 much last, but why is it that you consider the timing of
23 the change to be minor?

24 VOEGELE: I guess I'm not really certain that timing

1 was addressed explicitly in my statement other changes are
2 minor. I think I was looking--we were not looking at the
3 timing; we were looking at magnitude of releases in these,
4 as well.

5 ORESKES: Okay. So, are there separate studies that
6 deal with the question of the timing of the release or
7 that's just not addressed in this study?

8 VOEGELE: Well, no, it--I think that by the time you
9 see Bob Andrews' eventual performance assessment
10 calculations, there will be sensitivity studies from which
11 you can glean information by the timing of the releases
12 related to this. I don't know--let me put it it's
13 certainly something worth looking at. I mean, timing can
14 be as important as the actual magnitude of the release and
15 it shifts the whole curve far enough to the right. So, I
16 think I would rather take that as a comment and that's
17 something we could look at.

18 ORESKES: Very good. Thanks.

19 KNOPMAN: Okay. Thanks, Mike.

20 Our next speaker is Bob Andrews who will talk
21 about the implementation of the repository safety strategy
22 in TSPA-SR. Bob is the manager of performance assessment
23 operations for the M&O.

24 ANDREWS: What we're going to be doing for the next

1 20 or 30 minutes or so is walking through the
2 implementation of the repository safety strategy that Abe
3 talked to you this morning and Mike talked about at the
4 second go within the context of the total system
5 performance assessment.

6 If we can go to the first slide, we're going to
7 walk through what is the TSPA as part of the repository
8 safety strategy, walk quickly through the objectives and
9 scope of the TSPA for the SR and talk to some of the
10 differences of those objectives and the scope between the
11 VA and the SR and address some of those changes and what
12 we're doing about those changes. Some of those changes
13 revolve around the regulatory changes that were talked
14 about by EPA this morning and I know the Board had other
15 presentations from NRC earlier. Some of those are a wide
16 variety of comments and critiques of the viability
17 assessment TSPA and, of course, there are a wide range of
18 improvements in the analysis and the models that support
19 the site recommendation as science has progressed, as
20 additional data happened to come on line, etcetera. And
21 then, we'll finally close with the actual contents as we
22 see them right now of the TSPA for the site
23 recommendation.

24 Just to reiterate a slide that Abe had up here on

1 the five elements of the repository safety strategy, the
2 first three of these either directly or indirectly relate
3 to total system performance assessment. The first one is
4 an explicit one. It's do the calculations to evaluate how
5 this system behaves, how we think it performs, plus the
6 appropriate uncertainty analyses that allow one to
7 evaluate the "expected" performance. And, we'll get
8 through that word "expected" which has a probabilistic
9 connotation a little bit later. It's also used to do the
10 sensitivity analyses, the important analyses of what drove
11 the system. How did each of the individual components,
12 each of the individual barriers contribute to that overall
13 system performance? And, finally, does the evaluation,
14 the direct incorporation of all relevant features, events,
15 and processes, not just the disruptive ones, but all of
16 them that may materially affect the long-term performance
17 of the system?

18 Start off with some very global objectives for
19 the TSPA-SR. It's part of the technical basis for DOE
20 decisions that are going to be coming in the next couple
21 of years on site suitability and site recommendations.
22 It's not the only part. There's a lot of other technical
23 information, a lot of confidence building, external
24 reviews, etcetera, that provide that technical basis, but

1 the TSPA is at least one element of that overall family of
2 total information. It does evaluate the system compliance
3 with those postclosure performance requirements and we'll
4 come to what those performance requirements are in a
5 second. And then, finally, and very importantly, it
6 evaluates the significance of each contributing barrier,
7 whether that's a barrier to water ingress or whether
8 that's a barrier to nuclide egress from the system.

9 To meet those objectives, the scope of the TSPA
10 for a site recommendation is to first off develop and
11 apply the methodology consistent with the regulatory
12 requirements. I'm going to come to that here in a second.

13 The second bullet is very important, use representative
14 models. I put the word "reasonably" in there; there was a
15 lot of discussion this morning on what is reasonable and
16 there will be a lot of discussion tomorrow on what is
17 defensible, but there is always a play between--and it
18 came up in, I think, in some of the discussions and the
19 questions and answers with EPA staff
20 --where does the applicant feel they want to be with
21 respect to reasonableness versus defensibility? It is
22 sometimes easier to bound something, i.e. push things to
23 the limit, rather than take an expected value or even a
24 range of expected values because that might be more

1 defensible or easier to defend than trying to defend the
2 actual range of the parameter of models that are
3 incorporated. So, there's a balance between a reasonable
4 representation and defensibility that's always played out.

5 We'll come to some examples of that and there's some more
6 examples in the backup to the presentation.

7 Finally is to calculate that expected dose and
8 there's some other performance measures along the way that
9 we'll come to. Evaluate the sensitivity to the
10 uncertainties and finally and very importantly something
11 that we try to continually improve with and, of course,
12 take a lot of comments from a lot of groups to try to
13 document these assessments because they are somewhat
14 complex. There's a lot of individual parts going into a
15 total system performance assessment, but to document those
16 in some way so to show how transparent the results are,
17 how the results are the way they are, and that they're
18 traceable back to scientific underpinnings, back to raw
19 data if you will and process level models. So, that's a
20 continual goal that we strive for and, you know, sometimes
21 we are close to meeting that goal, and clearly with some
22 of the comments, other times not.

23 What are the factors driving our changes from the
24 VA total system performance assessment to the SR total

1 system performance assessment? First, there's a change in
2 repository safety strategy that both Abe and Mike talked
3 to. These are in no particular order of importance just
4 so you're aware that these are the drivers to our change.

5 Secondly, are the changes in the regulatory requirements.

6 We talked about three site-specific requirements; EPA
7 requirements that are site-specific, NRC requirements that
8 are site-specific, and you heard both Lake and Steve talk
9 this morning about DOE changing to some site-specific
10 criteria for performance assessment. There's also
11 acceptance criteria within the total system performance
12 assessment, issue resolutions, status report from NRC, and
13 also the individual key--issue resolution status reports
14 or acceptance criteria for what the NRC, the regulator,
15 thinks is a minimum necessary sufficient set of
16 information for them to make reasoned decisions.

17 It's also driven by a number of external/internal
18 reviews of the VA. I won't talk to those explicitly, but
19 some of the flavor of the review comments that we received
20 and our path forward to address those comments hopefully
21 will come out as I go forward. There's a lot of new and
22 revised site and design information. Of course, the
23 design changed from the VA to the SR design and there's a
24 lot of increased data and models to support the SR

1 analyses. Some of those changes Mark Peters is going to
2 talk about and Jean will also talk about additional data
3 being collected and revisions of models.

4 Design change, I have there. And, also, finally
5 last but not least, improved QA processes and procedures
6 drive us to change. I will not talk to the last two
7 bullets, but mostly, you know, by myself for the first
8 four.

9 Starting with the change in regulatory
10 requirements, just to put up not for you to memorize or
11 anything, but that the need of requirement to conduct a
12 performance assessment is driven by 63.113, NRC. There's
13 similar words that I put in the back of your handout that
14 are EPA's requirements for performance assessment. The
15 next slide goes into the definition of performance
16 assessment from NRC. In the back of your handout, I put
17 the definition of performance assessment that EPA has in
18 197. There are slight nuance differences between NRC and
19 EPA requirements which I'll come to in a little bit and
20 there's very slight differences in the definition of
21 performance assessment, but they're essentially, at least
22 as an implementer's point of view, the same. Just NRC--
23 just so we're on the same page--you know, the first step
24 is to identify the features, events, and processes that

1 could affect performance, examine the effects of those on
2 performance, and finally to estimate the expected annual
3 dose to the average member of a critical group as a result
4 of potential releases from the repository.

5 The next two slides, I want to spend a little
6 time on because these might look like nuances, and if they
7 are, maybe I should go through them quickly, but they are
8 important nuances of doing performance assessment. And,
9 in the middle column, I have the VA requirements, if you
10 will, what we were trying to do in the VA. On the right
11 hand side, I talk to the site recommendation consideration
12 report, the types of analyses that will be performed.

13 Starting first with the performance measure, the
14 VA did use dose as a performance measure. The SR will do
15 dose and, as you heard this morning, there's a separate
16 requirement for groundwater protection that really relates
17 to concentration.

18 The criteria, in the VA, as specified by
19 Congress, was probable behavior. In the SR, it's driven
20 by regulatory requirements in Part 63 as expected dose.
21 The difference between probable behavior and expected
22 dose, you might say to most people in the English
23 language, is minimal, but clearly our peer review of the
24 VA thought determining probable behavior was--I'm going to

1 paraphrase here a little bit--an impossible task. But,
2 determining the expected behavior per regulatory
3 requirement with some reasonable assurance was a very
4 doable task.

5 The group that we looked at for the VA was a
6 rural residential farmer. The groups or individuals for
7 the SR is
8 --these might be the same. That's to be determined, I
9 think, but either an average member of a critical group
10 which is Part 63 or the reasonably maximally exposed
11 individual which is the current language in Part 197. It
12 may very well be that this individual is a subset of this
13 group. That's how we currently look at it, anyway.

14 The location of the VA was at 20 km. The
15 location in the SR, we will look at probably a number of
16 different distances because the regulations are not set
17 right now. If they become set in the next six months,
18 that will redefine our work probably a little more
19 specifically.

20 In the VA, we looked at peak doses out to a
21 million years. We generally looked at different time
22 slices just for presentation purposes, 10,000, 100,000,
23 and a million, but we always ran things out to a million
24 years. For the SR, we will concentrate because 197 and 63

1 both concentrate on 10,000 years. However, for two
2 reasons, we will look at longer times frames. One is it
3 gives you some additional confidence of how the longer
4 term performance resides and, two, is 197, Part 30,
5 whichever, for the FEIS. The final Environmental Impact
6 Statement requires an assessment of the million year kind
7 of time frame.

8 Continuing on the next page with additional
9 changes between the VA and the SR for total system
10 performance, the features, events, and processes, in the
11 VA, those were analyzed separately. They were just one-
12 off calculations, treatment of human intrusion, treatment
13 of seismic effects, treatment of volcanic effects,
14 treatment of criticality effects. The SR will first do a
15 formal screening of all relevant features, events, and
16 processes which was that first step of Part 63 and then
17 explicitly include them in the calculation of expected
18 dose so long as their probability is greater than that
19 nominal cutoff in Part 63 and 197, 10^{-4} in 10^4 years. So,
20 they are explicitly in the calculation. They can be
21 pulled apart for examination of conditional effects which
22 is, I think, a very useful way to look at results. It's a
23 way that I think NRC has proposed to us that we do things
24 and I think we will continue to do that. So, we will pull

1 the results apart to show the conditional effect of
2 combining them back again to evaluate the expected dose.

3 Human intrusion, in the VA with a stylized
4 calculation and the SR is going to be a stylized
5 calculation.

6 The uncertainty analyses, both the VA and SR are
7 going to be probabilistic analyses. There is a very
8 slight nuance. The VA essentially looked at the mean of
9 peaks, looked at a wide range of distributions and took
10 the mean of the peaks. The SR per Part 63 and per our
11 implementation of Part 63 will really look at a peak of
12 means. It's looking at the expected or the mean
13 performance and looking at the peak of that expected or
14 mean performance which clearly has a distribution around
15 it and that distribution would be shown around it, but
16 it's a slightly different performance measure. Last
17 summer, we did show one plot in the VA of the peak of
18 means. So, we showed it once, but all the other plots
19 that are in Volume 3 of the VA are the mean of peaks. So,
20 it's just a slight difference.

21 In terms of multi-barrier analyses, what we did
22 in the VA was we did sensitivity analyses, we did a lot of
23 one-off sensitivity analyses, looking at 5th percentile,
24 95th percentile effects. For the SR, some of that work

1 will continue, but it will be expanded dramatically to
2 look at explicitly the barrier importance. So, that gives
3 you, I think, a flavor for the types of differences
4 between the implementation point of view between the VA
5 and the SR.

6 Now, I have one slide that's more a pictorial of
7 the performance assessment method not to be tutorial. And
8 then, I have a slide that will come up next that will walk
9 through the process. So, for those of you who like
10 pictures, you can stay on the method slightly revised from
11 the VA because how we document things in the SR is
12 slightly different from the VA. In the VA, you'll
13 remember we had the TSPA and then we had this technical
14 basis document that provided the scientific basis for the
15 abstractions generally used in the performance assessment.
16 That technical basis document generally didn't go back
17 all the way to the process model or back to the data. In
18 the SR, we're using--and Mike Lugo will go into this in
19 more detail--the concept of these Process Model Reports
20 which are, more or less, broken out the same way as the
21 technical basis document, but include the abstraction, the
22 process model, and the supporting data and testing
23 information that's to support that process model and its
24 abstraction.

1 Walking through the method, we first start with
2 the regulatory framework. The first step is then the FEPs
3 screening. Let's go on to the next one. And, that FEPs
4 screening is slightly different than what was implemented
5 in the VA. It's going to be an explicit identification
6 and classification. We have a database that incorporates
7 all of the features, events, and processes. An explicit
8 screening based on either probability criterion and both
9 197 and 63 give that probability criteria and that's the
10 10^{-4} in 10^4 year or a consequence criteria. Finally,
11 construct the scenarios and screen the scenarios using
12 those same criteria and then within the performance
13 assessment implement all of the retained scenarios.

14 Let's go on to the next. Once we've done that
15 screening, we will have a series of scenarios which will
16 be appropriately probability weighted such that the sum of
17 probabilities equals one. We have the component models
18 and the model abstractions that are described in the
19 analyses model reports that Mike Lugo will talk to. We
20 will then do these and once those are all combined into
21 their abstractions--and I'll come to how we're doing that
22 in a second--we're doing the 10,000 year total system
23 model simulations and we'll do these--we're going to focus
24 on the probabilistic analyses, i.e. the uncertainly

1 analyses and purported range of parameters and the range
2 of models, but oftentimes it's illuminating and it's
3 illuminating for discussion purposes and very illuminating
4 for transparency purposes to look at single value
5 realizations and make sure that the system or the
6 individual components are hooked up appropriately and that
7 you're getting reasonable transfer of information both in
8 terms of mass, water, nuclides between the various
9 barriers. So, that's very illuminating. Essentially,
10 what Mike Voegele was showing you was a series of
11 deterministic calculations, not the probabilistic type of
12 calculations.

13 We will then combine the results of these
14 probabilistic analyses to get that expected dose history
15 over the 10,000 and longer time periods and we'll do a
16 wide range of sensitivity analyses, both probabilistic and
17 deterministic, but probably focus more on the
18 probabilistic ones to evaluate the significance of the
19 barriers.

20 And, finally, we'll document these results with a
21 compliance evaluation which will be in Volume 2 of the SR
22 considerations report, revise the safety case next summer,
23 as Mike and Abe both alluded to, and identify the key
24 information for performance confirmation.

1 This is the approach for not including human
2 intrusion into the analyses. This second slide
3 essentially is the approach and the requirements for the
4 stylized human intrusion calculation that will use the
5 nominal scenario. We're not going to combine, at least
6 right now, a human intrusion event with a volcanic event,
7 but we will use a nominal scenario and run that through.
8 It's also probabilistic. It will have an expected dose
9 attributed to that human intrusion event.

10 And then, finally, similar things shown for the
11 longer than 10,000 year requirement. 63 and 197, the base
12 requirement, is 10,000 years, but the FEIS, the final
13 Environmental Impact Statement, as proposed in 197.30 is
14 to go out to peak. Our current thinking is those peaks,
15 we may look at both deterministic type results and
16 probabilistic type results. There was no requirement in
17 197 to look at it probabilistically. So, we may, in fact,
18 use deterministic type results to show.

19 Okay. The next slide is a slight shift of gears
20 to the major categories of concerns raised based on Volume
21 3 of the VA which is the TSPA. The first two,
22 traceability and transparency, then the how did we treat
23 alternative models, how did we screen them in, screen them
24 out, did we weight them, etcetera. A lot of people

1 commented on the major assumptions and did you evaluate
2 the significance of all of your assumptions as you went
3 through the analyses. And, finally, the last bullet which
4 is, I think, of some discussion for tomorrow is the
5 validity or confidence that we have in the individual
6 component parts that make up the TSPA.

7 Traceability starts really with--this is, of
8 course, the PA pyramid rather than the SR pyramid that
9 Steve showed you. It starts with basic fundamental site
10 and design specific information. The test data, the
11 laboratory test data, the institute test data. It builds
12 through the process models which are going to be captured
13 in these Process Model Reports that Mike Lugo will talk to
14 you about and continues on with the incorporation of those
15 abstractions and the process models and analyses results
16 into the total system performance assessment. You know,
17 the TSPA that we do for the SR is going to build on what
18 we did for the viability assessment, what was done for the
19 draft Environmental Impact Statement which was analogous--
20 the same models were used in the draft EIS as are used in
21 the viability assessment. It builds on ours and NRC's
22 plus other people's including EPRI's experiences in
23 running TSPAs.

24 Now, one of the things I want to talk to is how

1 information flows into TSPA and through TSPA. What you
2 have here--and I'm going to go through them in a second;
3 just hold on--is the analyses model reports that are
4 providing direct data feed into TSPA. So, there is a
5 report or there will be a report that describes, for
6 example, down here the EBS radionuclide transport model
7 and its abstraction. That's directly incorporated as a
8 file. Whether that's a table look up or a simple
9 algebraic expression or whatever, one can tear that part
10 of the model out. One could be bounded in that. One
11 could be reasonable in that. One can incorporate
12 uncertainty in each one of these boxes that are going into
13 the TSPA.

14 Within the TSPA, there's a flow of information
15 starting first with the degradation of the package,
16 degradation of the waste form, transport through the EBS,
17 transport through the unsaturated zone, transport through
18 the saturated zone, transport through the biosphere, and
19 ultimately a dose is predicted; so a time dependent
20 arrival of nuclides at that point, wherever that point is,
21 20 km, 5 km, or whatever.

22 We're going to walk through over the next steps
23 how that information is connected and moves from
24 essentially left to right within the performance

1 assessment. So, let's go to the next slide which just
2 talks to the waste package degradation and the major feeds
3 into waste package degradation. You know, climate and
4 seepage and the EBS environments all impact waste package
5 degradation. The waste package degradation abstraction
6 here includes both drip shield and the package itself.
7 So, it includes the titanium and its degradation processes
8 and rate and uncertainty and the Alloy 22 waste package
9 degradation rates and processes. Those might, in fact, be
10 impacted by seismic activity, by degradation of the drip
11 shield, by seismic events, water dropfalls, etcetera. It
12 may be shown that those seismic activity affects our
13 minimal and have no consequence and, therefore, may be
14 screened out of the analyses. But, for now, they're
15 screened in.

16 Moving to the left, we have all of the aspects in
17 the waste form which also include environmental factors,
18 such as the waste form temperature, the in-package
19 chemistry. The waste form degradation will be somewhat
20 dependent on the colloid source. The actual release from
21 the waste form will be dependent on the solubility
22 concentrations or the inventory. Here comes igneous
23 activity. Igneous activity wasn't in there for impacting
24 the package because the assessments, so far, show if there

1 is igneous activity, the package lifetime is not an issue.

2 The package is gone.

3 Then, we're going to continue on to the right.

4 Once I've done the waste form, I've got EBS transport
5 again with environmental components coming in here and
6 then distribution and changes in hydrology and chemistry
7 inside the drift. Continuing on to the right, we have
8 nuclide released to the UZ and there's a lot of
9 unsaturated zone analyses and models to move nuclides
10 through the unsaturated zone. Moving still to the right,
11 we have the saturated zone. You'll note that climate and
12 infiltration--and there will be a driver on all of this
13 thing because the climate states drive the hydrology and
14 the hydrology drives a lot of the water movement through
15 the unsaturated zone and the saturated zone. Finally,
16 coming to the biosphere and here we have the biosphere
17 dose conversion factors, igneous activity affecting the
18 biosphere climate, and if there is any dilution at the
19 well head due to the critical group using large volumes of
20 water, that would be factored in in there. And, finally,
21 as to the dose.

22 So, there's going to be a lot of changes in the
23 models from the VA to the SR revised design, critiques,
24 improvements. And, I tried to capture some of these in

1 the backup slides. I didn't include it in the actual
2 presentation, but there are a number of areas where we are
3 going to use somewhat conservative bounded analyses and
4 models where the complexity is just too high or the
5 uncertainty is too great and it's just easier within the
6 context of the site recommendation report confidence
7 building to use what is a demonstrably and defensively
8 conservative assumption rather than drawing on the full
9 range of possible models or parameters within that
10 component or system. Within the back of the document, I
11 give some examples of that.

12 I talk about it on this slide, too. So, I simply
13 said this. That we're going to use reasonable
14 representations where they are of sufficient
15 defensibilities, but in areas--and, by the way, this is a
16 good philosophy, but the peer review clearly commented
17 that to us and I think the Board in kind of echoing the
18 peer review comments on the VA made very similar comments
19 that if we do have a high degree of complexity or very
20 high uncertainty, it's just much easier to do some more
21 reasonably bounded representations, document them as such,
22 show their effects, if you want to show how much
23 conservatism you've included in the analyses, and we will
24 use, as Mike talked to the safety case, i.e. the factors

1 versus principal factors criteria as a basis, not the only
2 basis, but a basis for distinguishing which things might
3 be reasonably conservative and which things might be
4 actual reasonable representations.

5 Uncertainty is included in all models and
6 parameters, if appropriate. We went with a bounded value.

7 We're going to fix that bounded value. If something is
8 well enough known like inventory, we're going to fix that
9 inventory. We're not going to look at uncertainty in
10 every single parameter within the model.

11 Okay. The next series of slides and I don't
12 want to go through each of them in any detail, but we
13 haven't--the Board and others, not just the Board, raised
14 the issue of transparency and traceability. I think we
15 always struggle with the best way of communicating that
16 both graphically and in the text as we write it. One of
17 the things I'm going to try to do or what the next five
18 slides essentially do is starting with the key attributes
19 and the factors that Mike and Abe had on their viewgraph
20 is walk first to the traceability side. The traceability
21 is to these two columns. The traceability for the climate
22 is back to that Analysis Model Report written by some
23 individuals at the USGS that define the climate states,
24 current knowledge on climates, the bases for those current

1 knowledge and future climates, and how to project those
2 climates change over the next 10,000 years.

3 So, this document, the USGS report, AMR, Analysis
4 Model Report has the technical basis and has the datasets
5 that we're using exactly in the TSPA. Same thing here
6 with, for example, the UZ flow above the repository. This
7 Analysis Model Report is based on the model that Dr.
8 Bodvarsson is going to talk to you about tomorrow. He's
9 going to talk about the technical basis for it, the
10 validity in it. It's what we're using are its flow fields
11 from that, and the percolation fluxes from that. So, it's
12 a direct feed of data from that model directly into the
13 TSPA. So, if there's any question about traceability, we
14 go back to the source of that information and that's where
15 the information is contained, the technical basis for it,
16 the data to support that analysis or that model. So,
17 that's a traceability point of view.

18 There's a transparency issue showing up, more or
19 less on the right hand column. What are the individual
20 components that drive total system performance? We in the
21 VA, if you'll remember some of those pullout things in
22 Chapter 4, I guess, try to walk through starting with
23 waste package degradation--starting with seepage actually.
24 Starting with seepage, the waste package degradation, the

1 waste form degradation, to EBS release, to UZ release, to
2 SC release, we tried to show how water moved through the
3 system and how nuclides were projected to move through the
4 system. That's essentially what we're trying to do here,
5 too, is to look at various slices of the total system as
6 they impact the total system performance. They're not
7 really barriers because the barriers are more over here in
8 the factors, but they are some system measures of
9 performance to show transparency of how water nuclides
10 move the system.

11 You have the other ones in your handout for
12 completeness sake, but I'm going to--if John will quickly
13 go through them and come to Slide 26 where we talk about
14 this--okay, 25, mine is different. Okay. I was talking
15 about the Rev.00 TSPA which is the TSPA available at the
16 time of the considerations report. Steve told you the
17 schedule for that. It's next September, September of 00.

18 First it's developing and screening the FEPs. Second is
19 to implement all of these controlled models and analyses
20 and all those numbers in there are controlled models and
21 analyses. The software is also controlled and the data
22 flow between the models is also controlled. Evaluate the
23 reasonable representation of the expected performance,
24 incorporating that uncertainty that's within each of those

1 component models directly including the effects of
2 applicable disruptive events; i.e. those that can't be
3 screened out based on probability or consequence. Conduct
4 that and stylize to an intrusion analyses. And, conduct a
5 sufficient amount of subsystem and system sensitivity
6 analyses to evaluate the significance of the individual
7 barriers and the contribution of those barriers to the
8 total system performance.

9 The difference between Rev.00 and Rev.01, Rev.01
10 is--I think, it's April of '01, something like that. It's
11 first off to acknowledge that we may get comments on
12 Rev.00 and it would be nice to address those comments from
13 wherever they came from as we go from Rev.00 to the
14 Rev.01. It is subject to the public comments on Rev.00,
15 TRB and NRC comment on Rev.00. If there are any
16 significant changes in models or data that come from the
17 time of Rev.00, we would, of course, address those in the
18 time of Rev.01. If they're not significant, we'll
19 document that they were not significant and move on, but
20 any significant change would have to be addressed. Then,
21 as additional data become qualified and if there is
22 additional software qualification that occurs, the impact
23 analyses of that increased qualification would be
24 addressed as we go from Rev.00 to Rev.01.

1 So then, finally, we're trying to develop TSPA-SR
2 that we feel is suitable for DOE decision making and
3 suitable for interested parties to review with respect to
4 its comprehensiveness, completeness, traceability,
5 transparency that's consistent with all of the applicable
6 regulations. And, yet, of course, we realize some of
7 those regulations are yet evolving. You know, the actual
8 distances are not quite fixed yet. So, we have a range of
9 distances. There's slight nuance difference between
10 maximum exposed individual and average member of critical
11 group. Those differences, they know we have to be
12 cognizant of and somehow address. We're revising and
13 improving all of the component models. There is not a
14 model, I don't believe, in the SR that's not going to be
15 in some way, shape, or form different than the models used
16 in the VA. We're documenting the technical defensibility
17 of these models in the AMR, the Analysis Model Reports,
18 and the Process Model Reports. Then, we're assuring
19 ourselves that we conform to all the QA requirements to
20 help and that's one aspect to help insure transparency and
21 traceability. Clearly, there's a lot of other ways of in
22 addition to this specified QA requirements that we're
23 striving for to improve the presentation of this material
24 for a wide range of audiences.

1 With that, I'll stop, Debra, and take whatever
2 questions you may have.

3 KNOPMAN: I'm sure we don't have any questions.

4 ANDREWS: All right.

5 KNOPMAN: Dan Bullen?

6 BULLEN: This morning, Bob, we heard one of the
7 reasons that the current design was selected was due to
8 flexibility and the ability to modify either the operation
9 or the emplacement scenario so that you could remain
10 flexible for hot versus cold, high AML, area mass loading,
11 versus low area mass loading. How do you maintain the
12 flexibility in your TSPA modeling to address those kinds
13 of issues?

14 ANDREWS: We can't address every design optimization
15 study, clearly, in the time frame we have. But, we've
16 selected a few major ones like 50 versus 125 years on
17 ventilation. There's no high AML/low AML in that. It's
18 moderately low AML with different ventilation schemes.
19 So, we're treating that as, more or less, a sensitivity
20 study. We won't do every single realization--we'll
21 probably bound the TSPA-SR on the 50 year ventilation, but
22 we think that's a little more bounding from a postclosure
23 performance impact perspective and we'll do the
24 sensitivity analyses on 125 year. There are some design

1 optimization tradeoff studies that will be conducted in
2 the context of the SR, but most of those will be somewhat
3 minimal. I mean, we're saying this is the design. This
4 is the design for the purposes of the SR and here is our
5 analyses of how that design performs. There's not a lot
6 of optimization studies planned.

7 BULLEN: Okay. As a followon to that, if you could
8 go back to Figure 18. It's 18 in mine; we'll see what it
9 is here. It's the one with the multi-colored time line.

10 ANDREWS: Yeah.

11 BULLEN: 17, then. How does that sound? That's
12 right, that 17. As you follow through on the center note,
13 if you will--that one--as you follow through on the center
14 note, are there specific AMRs and PMRs that fall into each
15 one or are there multiple AMRs and PMRs and would it be
16 best to sort of follow the logical step of PA as we've
17 done before with waste package, waste form, EBS, UZ, SZ,
18 and biosphere or is it better to follow and take a look at
19 the PMRs you're trying to put together and the AMRs that
20 feed into them? I guess, I'm trying to get sort of a
21 sense of what's the best was to try and follow your
22 attempts to make it traceable and transparent.

23 ANDREWS: Okay. You're talking to a PA guy.

24 BULLEN: I know, to a PA guy and I'm a PA panel--I'm

1 actually talking with a PA panel chair hat on here because
2 I'm sure we'll have a panel meeting about this in the
3 future, but can you kind of give us a heads-up on what do
4 you think the best way to follow it might be?

5 ANDREWS: Given that I'm a PA guy, I think the best
6 way to follow it is the factors or analyses and models
7 that impact each of the steps in a performance assessment,
8 you know, they might be summarized in different PMRs. I
9 mean, your question--you have two ways of slicing this--
10 well, probably more than two. But, at least, two major
11 ways of slicing this. You can slice it by, more or less,
12 technical discipline which is more or less the PMRs are
13 sliced. You have hydrology, you have coupled process,
14 near-field environment, you have waste package corrosion
15 people, etcetera. You have discipline basis descriptions.
16 Or you can slice this by those factors that intertwine to
17 affect something that affects performance which are going
18 in the bigger boxes here. Being a performance assessment
19 person, I would probably look at all the factors that
20 affect waste package degradation and look at that in one
21 fell swoop. All the factors that affect waste form and UZ
22 trend, no. So, I would go in here personally rather than
23 by PMR. If somebody is a hydrologist and they want
24 hydrology, they probably would go into the PMR. I think

1 it just depends on whether you have a little more
2 integrated hat or you're knowledge hat on. Quite frankly,
3 it's an excellent question because NRC--you know, I don't
4 know if they want to speak to this; they might
5 --have the same issue. I mean the KTIs, the Key Technical
6 Issues, are--biology. What they call key elements of
7 subsystem abstraction, which I think they're going to
8 rename now to the integrated subsystem issues, something
9 like that, ISIs, those are things that integrate and
10 impact performance. So, it just depends on which side of
11 the bed you wake up on.

12 BULLEN: Thanks.

13 KNOPMAN: Jared?

14 COHON: On your Slide 9, if you could put that up,
15 and 10 which comes after is a continuation of it, it
16 seemed to me--well, right column calls this TSPA-SR, and
17 if you hadn't given us the title, I would have thought
18 that this was TSPA-LA. Is there any difference to you
19 between SR and LA?

20 ANDREWS: In terms of the expectations of the types
21 of analyses we do?

22 COHON: Yeah?

23 ANDREWS: No. In terms of individual component parts
24 and how they're treated in the LA versus the SR, the

1 answer might be yes.

2 COHON: Because we may learn more between--

3 ANDREWS: You may learn more, you may want to bound
4 some things even more for the LA than you did in the SR.

5 COHON: Your answer disturbs me because the decision
6 makers at the SR point are different from the decision
7 makers at LA. You have to convince the President and the
8 Congress, but you should know this then. That's different
9 from convincing NRC.

10 ANDREWS: Correct.

11 COHON: Unless the President and the Congress are
12 going to announce we're going to accept NRC criteria and
13 that will be the basis for our decision. I think you have
14 to give some more thought to what the President and the
15 Congress will want to know. You said--this is a different
16 question now. You said estimating probable behavior was
17 an impossible task. That was your quote.

18 ANDREWS: I didn't say it. The peers did.

19 COHON: Yes, you did.

20 ANDREWS: The peer review said it.

21 COHON: The peer review said it was an impossible--do
22 you agree with them?

23 ANDREWS: No.

24 COHON: And, they thought that expected dose was

1 easier; that somehow that's not impossible, but probable
2 behavior is?

3 ANDREWS: That's what they said.

4 COHON: Do you accept that? Do you agree with that?

5 ANDREWS: Their definition that--you don't have any
6 peer review members here to defend themselves, but their
7 definition of the word "probable" was essentially in the
8 form of an exact prediction of behavior. We never said
9 the VA was an exact prediction of behavior. We had a wide
10 range of projected predictions. I think the expected dose
11 requirement in Part 63 and the mean dose requirement in
12 197 factor all of that uncertainty in, allow you to still
13 show the effect of that uncertainty, but factor that into
14 the assessment of what is expected where expected now has
15 a probabilistic connotation. It means mean dose.

16 COHON: So, in the peer review panel's
17 interpretation, probable behavior did not have a
18 probabilistic interpretation?

19 ANDREWS: That's correct. Well, I think, they would
20 say that's correct.

21 COHON: Well, let's put the peer review panel aside
22 for the moment. I'm pretty sure that you would agree that
23 TSPA's greatest value is in helping the program and others
24 to understand the full range of possible behavior/probable

1 behaviors of the repository.

2 ANDREWS: Uh-huh.

3 COHON: And, probably less valuable in coming up with
4 a number like expected dose. Now, the two are currently
5 linked, I understand that. But, given all the
6 uncertainties, given all the data uncertainties and the
7 modeling uncertainties that are unavoidable, I would
8 suggest the TSPA is most valuable in understanding
9 probable behavior defined probabilistically in producing a
10 number called expected dose.

11 One last question, in the back of slides, you
12 talk about the process to estimate NRC's--that's all
13 right. You don't have to go to it. Well, you can, if you
14 want to. But, one of the components of it is the scenario
15 probability. What is that and how do you compute that?

16 ANDREWS: We combine the individual features, events,
17 and processes which all might have a discrete probability
18 and as those are combined into scenarios, those discrete
19 probabilities are combined into a weighted probability
20 that combines both those.

21 COHON: So, you're going to make some assumptions
22 about independence of these various submodels, the
23 processes--

24 ANDREWS: In that case, yes, because it will be

1 independent. The features, events, and processes are
2 enough independent that that assumption would hold.

3 COHON: Okay. Thank you.

4 KNOPMAN: Leon Reiter?

5 REITER: Bob, a few questions. On this last item, as
6 Jared was talking about, how are you going to treat model
7 uncertainties. We saw like in the PVHA and PSHA, they
8 included and weighted different models and the general
9 approach in TSPA-VA was to do sensitivity tests. Are you
10 going to include model uncertainties if the models in your
11 probabilistic characterization as part of your--of
12 expected dose and more of that?

13 ANDREWS: For some, yes.

14 REITER: For some?

15 ANDREWS: For some, we might go with the more bounded
16 model and just stick with that model and show with a
17 subsystem analysis why it was bounded. I'm not going to
18 stand here right now, you know--

19 REITER: But, you're going to try and--what I'm
20 saying is you're going to try and explicitly incorporate
21 more model uncertainty in the SR-TSPA than you did in the
22 VA?

23 ANDREWS: Yes.

24 REITER: Is that correct?

1 ANDREWS: Yes.

2 REITER: Okay. Let me ask just two questions. Dose
3 security was brought up. For a while, we're sort of heard
4 of rumors that you might continue the peer review. You
5 might subject the TSPA to some sort of external review
6 like the Nuclear Energy Agency. Is anything being planned
7 in that?

8 ANDREWS: I don't know if DOE wants to--it's not in
9 my scope, but maybe Steve or Abe want to talk to whether
10 and how they might do that.

11 BROCOUM: For the next year or so, I don't really see
12 that happening because basically, you know, we have enough
13 to do. For the LA, we may consider something like that.
14 But, we don't have any definite plans yet, but we have
15 talked about it and some of us would like to do some of
16 those things.

17 REITER: Okay. And, there's just one final question.
18 In the tables, you showed possible subsystems performance
19 measures. Now, it's interesting because what do you
20 envision doing with that? Are you going to try and set up
21 perhaps some sort of performance allocation or how are you
22 going to use this kind of information?

23 ANDREWS: Well, one of the ways you can use it, I
24 mean, the barrier of neutralization studies that Mike

1 showed you really could have looked at the subsystem
2 contribution rather than neutralize it and look at the
3 effects on total system. But, if it's very illuminating,
4 we have found and we think we found in the VA, especially
5 where we communicated with people, to show how at each
6 part of the system there is a contribution to system
7 performance. I think, you know, Dr. Craig asked the
8 question earlier to one of the speakers. You know,
9 something to the effect of how can you show the impact of
10 the different barriers and one way, of course, is to
11 neutralize them and the other way is just to how at
12 various points in space and the various points in time,
13 you know, how the total inventory is moving through the
14 system. Where is the total inventory? Where are the
15 release rates at different points in space? And, you can
16 look at those probabilistically because all of the results
17 are sitting there. It's just a matter of parsing out the-
18 -from the system analysis at each one of those break
19 points and then doing, more or less, an importance
20 analysis and you could do a lot of different things with
21 those results to look at the significance of each barrier,
22 if you will, in space on the overall system performance.
23 So, it's more of a barrier importance analysis kind of
24 approach.

1 NELSON: I have two questions. One is the integrated
2 site model, it's been a long time since I've seen it. So,
3 I don't know what it looks like right now. I look forward
4 to seeing it. But, I'm wondering to what extent that is
5 really considered a model in the same sense that the other
6 models that you talk about updating and changing are
7 considered models. From the standpoint of different ways
8 of characterizing various properties, whether it's
9 fracture, non-fracture, equivalent continuum, for example,
10 and other choices that are made about how it's conceived
11 to create this model from which the PA is operated. Can
12 you tell me something about that?

13 ANDREWS: Yeah, well, you're right. I mean, there's
14 no processes imbedded in that particular model. It's just
15 a geologic description and framework in which other
16 processes work like hydrology and thermohydrology and
17 transport. And, I have it on that slide as a feed into, I
18 think, the UZ and SZ--sometimes there's only saturated
19 zone--process models which are really looking at processes
20 rather than a hunk of rock and how that rock, we think,
21 looks.

22 NELSON: Well, as it relates to something like
23 spatial variability, other ways of conceiving what's in
24 the mountain, is that something that you might consider as

1 a flexibility or a variability of that model or is it,
2 more or less, just this is the model on which we operate
3 and we don't expect to really update it or treat it as a
4 source of uncertainty?

5 ANDREWS: I would answer probably in the latter
6 category. The processes that act within it--and Bo can
7 talk to this tomorrow--the processes that act within it,
8 you know, might address variability of components and
9 uncertainty of individual factors in that model, but that
10 model itself is pretty static. It's not changing really.

11 NELSON: Okay. The second question I have deals with
12 the fact that on the agenda it says that you were going to
13 say something about natural analogues. I'm wondering how
14 natural analogues are going to be considered in this?

15 ANDREWS: Well, the natural analogue part, I think
16 who talked about it this morning a little bit, Steve or
17 Abe? Each of the process models is to the best of their
18 ability addressing some relevant analogues of those
19 processes. In UZ, I know Bo is looking at things at
20 Hanford plus NTS kind of information as additional
21 confidence builders for the process level models. The
22 only thing we're doing within a TSPA context is looking at
23 the Pena Blanca and could we explain Pena Blanca with a
24 system, you know, type model.

1 NELSON: So, your trying out your TSPA model on Pena
2 Blanca?

3 ANDREWS: Uh-huh.

4 NELSON: And, that's the only linkage between PA and
5 the natural analogue study?

6 ANDREWS: Well, the PA is built on all the process
7 models. The process models are tied back to analogues.
8 You know, it's hard to have an analogue for TSPA itself.
9 There's analogues for biosphere. Clearly, there's--you
10 know, like Chernobyl and things like that. There's
11 analogues for other parts of the system, but those are
12 individual parts that have analogues, but TSPA itself
13 doesn't have an analogue that I can think of unless maybe
14 somewhere some time ago somebody really did both waste
15 and--

16 KNOPMAN: Alberto?

17 SAGÜÉS: As far as in #10 in the uncertainty
18 analysis, you refer to a mean of peaks versus a peak of
19 means. Do I understand correctly that the peak of means
20 approach is a more forgiving type of--

21 ANDREWS: No.

22 SAGÜÉS: No?

23 ANDREWS: No, just a different way of looking at the
24 mean of a dose response. The peak of means would look at

1 the mean at every time step or, you know, in Part 63, it
2 says every year; it says annual. So, let's just use that.

3 Annual mean value of the dose might be expected dose at
4 each year of the analysis. That's not what we did in the
5 VA. We ran a series of realizations, you know, and got
6 100--

7 SAGÜÉS: Right.

8 ANDREWS: And, we just looked and said where is the
9 peak, you know, no matter in it occurs in the 10,000 or
10 100,000 year window.

11 SAGÜÉS: Right. I'm just saying that forgiving--that
12 would be the mean of peaks in TSPA-VA would seem to be
13 less forgiving because, say, suppose we have two
14 realizations and one of them gives you a peak of 100 at,
15 say, 3,000 years and another one gives you a peak of 100
16 at 6,000 years. Now, both of them have peaks of 100,
17 right, and therefore the mean of the peaks would be 100?
18 However, in the other case, if you ever reached them, then
19 your means may not reach more than 50 or 30. That's what
20 I'm saying, the one on the right appears to be more
21 forgiving.

22 ANDREWS: It's possible. When we did the analysis in
23 the VA and, you know, of course, Part 63--I'm not sure
24 when we actually documented the VA whether Part 63 was out

1 or not. So, we did a side-by-side comparison. We didn't
2 draw a spotlight to it, but in Chapter 4 where we did it
3 both different ways. And, over 10,000 years, they were in
4 the decimal point difference. I mean, it was, you know,
5 whatever the mean of the peaks versus peak of the means,
6 it was like .04 and .042, or something like that. I mean,
7 they were darn close to the same number.

8 SAGÜÉS: I see. And, is there the same--why the
9 change?

10 ANDREWS: Because that person--well, maybe NRC can
11 talk to this better than I. The peak of means sound like
12 a more reasonable way to go because you're looking at the
13 mean at each time step. That individual who lives at
14 year 3,000 is not the same individual who is living at the
15 year 6500. So, it was a much more reasonable way to show
16 means.

17 Tim McCarten?

18 SAGÜÉS: I see.

19 MCCARTEN: Tim McCarten, NRC. Yeah, that's correct.
20 I mean, from the individual risk standpoint, the expected
21 dose is because you want to look at the annual risk at a
22 given time. The person at, say, 5,000 years is not
23 getting the dose at, say, 8,000 years and adding those--
24 taking the mean of that, it's not the same person. So,

1 from an individual risk standpoint, we felt that was a
2 more appropriate way to do it.

3 SAGÜÉS: Now, since you are there, how about from
4 things such as, I don't know, genetic alterations and the
5 like, wouldn't that be sort of a cumulative kind of thing?

6 MCCARTEN: Genetic-wise?

7 SAGÜÉS: Yeah, for example, if there are problems.
8 Say, you have a given type of organism and then isn't that
9 a generational kind of thing that would be cumulative?

10 MCCARTEN: Well, we're looking at the risk to latent
11 cancer fatality.

12 KNOPMAN: Okay. Any further questions from the
13 Board?

14 (No response.)

15 KNOPMAN: We are running a few minutes ahead of
16 schedule and I would like to exercise the prerogative here
17 of the Chair to insert a break where there is not one on
18 the schedule. I'd like everyone back at five after 3:00
19 so that we can pretty much stick to the schedule, but
20 we'll take a break now.

21 (Whereupon, a brief recess was taken.)

22 KNOPMAN: Mike Lugo who will talk to us about the
23 Process Model Reports and the Analysis Model Reports and
24 how that fits into the overall repository safety strategy.

1 LUGO: Well, every talk you've heard today has
2 mentioned the term Process Model Report and Analysis Model
3 Report and I guess I'll now tell you what that all means
4 and how it fits into the documentation trail that we're
5 putting in place for the SR.

6 First of all, the purpose of the Process Model
7 Reports is to basically document the technical basis for
8 the TSPA. It's the building blocks of the TSPA analysis
9 to basically support the preclosure and the postclosure
10 safety case as it evolves to SR and further developed into
11 the LA. The PMRs together with the repository safety
12 strategy that was discussed today will help focus the
13 program on what's really important and what we need to do
14 to develop a defensible TSPA. You know, that is what
15 we're really depending on to make our postclosure
16 compliance demonstration. The third bullet here is really
17 the focus of my discussion here today which is to leave
18 you with the process that we have put in place to ensure
19 that we have a traceable and transparent total system
20 performance assessment and why we do that for the SR.

21 This is not an outline or a table of contents for
22 the PMR, but just a discussion of the topics that the PMRs
23 will address. Number one, they will describe the actual
24 models and the submodels and the abstractions, and by

1 that, for example, I mean for like the UZ flow and
2 transport that you'll hear about tomorrow from Bo. The UZ
3 flow and transport Process Model Report will also discuss
4 infiltration model, the climate model, the seepage model,
5 etcetera, and the abstractions of those models into the
6 TSPA.

7 The PMRs will also discuss the relevant data and
8 the uncertainties in those datasets. And, also, I didn't
9 put it on here, but it will also discuss the data
10 qualification status and where we are along that process.

11

12 Any assumptions that have been used in developing
13 the model and the data that support it, as well as the
14 bases for those assumptions.

15 Also, the model results or outputs. Like I
16 mentioned before, the same example, take the infiltration
17 model and there's an input to that from the climate model,
18 but there's also an output that goes to the seepage model.

19 So, it will basically discuss the customer/supplier
20 relationship in each of the PMRs.

21 It will also discuss software qualification and
22 model validation and tomorrow you'll hear a lot about
23 model validation, but it will discuss where we are along
24 the process to qualify the software and to validate the

1 models.

2 Very importantly, and this is something that Abe
3 discussed this morning, it will discuss opposing views, as
4 well as alternative interpretations of the data, both
5 internally to the project, as well as external, and it
6 will identify why the view that we chose or the position
7 that is documented in the PMRs, we believe, is the correct
8 way to proceed.

9 We'll also have information to support regulatory
10 evaluations, but PMRs themselves are technical documents,
11 not regulatory documents or regulatory compliance
12 documents, but they will have the technical bases that you
13 could use to actually make the regulatory case either for
14 the SR and eventually for the LA. In particular, here, in
15 Chapter 4 of the PMRs, we'll have a discussion of how the
16 technical content of the PMR addresses the NRC's issue
17 resolution status reports and acceptance criteria.

18 Also included, it's not on this list here, but
19 also how the views of the TSPA peer review and other
20 interested parties have been addressed in that model.

21 Dan Bullen earlier asked a question about how you
22 trace and which is the best way to trace. I'll give you
23 the two options here that Bob talked about. The way that
24 the PMRs and AMRs in TSPA all fit together is as follows.

1 You have the science and engineering, lab activities,
2 literature search, the things that basically produce the
3 information and the data that you're going to use to make
4 your analysis. They also use the updated reference design
5 that was discussed earlier by Steve Brocoun.

6 Right now, the Analysis Model Reports, we have
7 about 148 of these reports. They're generally divided
8 into two camps. The first one is a set of reports that
9 actually address the process model itself or any analysis.
10 For example, like I said, the climate model or if you
11 have an analysis of some hydrologic data. So, these are
12 in this camp over here. Then, there's another set which
13 basically are the abstractions which Bob Andrews and his
14 people do which take that information from the process
15 side and abstract this to be used in the TSPA.

16 Now, this set of 148 AMRs has two customers.
17 First, it's the TSPA analysis which are basically the rip
18 code runs that Bob does and they also get synthesized,
19 summarized, and put in context with respect to these nine
20 Process Model Reports. The analyses themselves get
21 documented into the TSPA document that Bob talked about
22 that is due in December of '00 for the SR consideration
23 report. This TSPA documentation will rely upon the
24 Process Model Reports as its primary reference for the

1 actual process model. If you'll remember, as Bob pointed
2 out earlier, the technical basis document for the VA had
3 many chapters to it to describe the process models. Well,
4 this set of nine reports, in essence, replaces those set
5 of chapters in the technical basis document. So, that
6 this TSPA documentation primarily focused on the
7 methodology, as well as the results of the TSPA. Then, of
8 course, both of these gets referenced and used in the SR
9 to provide the recommendation. The same process goes for
10 Rev.00, as well as Rev.01.

11 Now, this chart was used earlier by Steve
12 Brocoum, just the top half, and I'll discuss a little bit
13 more about the bottom, as well. Like I said, the red
14 boxes here is just a symbolic representation of the 148
15 Analysis Model Reports that support the nine PMRs and
16 these are AMRs set to range anywhere from 3 for the
17 integrated site model as much as to like 29 or so for the
18 UZ flow and transport model. So, there's quite a
19 variation of how many AMRs support each of these PMRs.
20 These are the dates that would be the expected DOE
21 approval dates for each of these PMRs at which point that
22 will be when it will be probably available.

23 These PMRs and the AMRs, like I said earlier,
24 support the TSPA Rev.00 that is due in 9 of '00 which both

1 then support the consideration report that will be issued
2 to the public on 11 of '00. We would then expect here to
3 revise the PMRs from not only to incorporate any comments
4 received from Rev.00, any new information that comes in,
5 discuss any developments in the pedigree of the data and
6 the software qualification, any potential changes that may
7 have occurred, and that's to rebut January of '01 to
8 support the next revision of the TSPA that supports the
9 SR.

10 Then, we have in our schedule a planned revision
11 right now for Rev.02 which will be to support the LA.
12 And, here, again we will be addressing any comments
13 received from Rev.01. Between Rev.01 and Rev.02 is when
14 we will be expecting to get the NRC's comments for the
15 sufficiency comments to support the SR. Depending on when
16 we get those and what this schedule ends up being, we'll
17 see if we can address some of those concerns in Rev.02 to
18 support the TSPA for LA, as well as the LA itself.

19 Now, let me go a little bit to the bottom here
20 now. We talked about data qualification and software
21 qualification and model validation earlier. We have some
22 goals within the project that we've established recently.
23 By the time we submit a Rev.00 of the PMRs, our goal
24 would be to have 40 percent of the data qualified, the

1 software qualified, as well as the models validated. By
2 the time we get to Rev.01 of the PMRs, that would be up to
3 80 percent and then basically essentially completed by
4 Rev.02.

5 Now, as Bob Andrews pointed out earlier, the
6 primary technical basis for the consideration report is
7 the Rev.00 of the AMRs, PMRs, and TSPA. So, basically, at
8 this point in time, we would expect to have a pretty
9 robust technical basis for the SR. Now, there has been a
10 concern raised in the past as far as how far we're along
11 this path on data qualification, etcetera, by the time we
12 get to these different milestones. Well, it's true that
13 the Rev.00 PMRs which are supported in the consideration
14 report, by that time they would have been 40 percent. If
15 you looked at the Rev.01 PMR for just January of '01 which
16 is just a couple of months after the consideration report,
17 we're basically close to the 80 percent goal at that point
18 in time; so, by the time this goes out to the public and
19 pretty much essentially completed by the time the SR goes
20 out.

21 My last viewgraph here is to show you the project
22 management system we have in place and the team; as I
23 mentioned early-on, the managing of the whole effort to
24 put together the nine PMRs. We have a team of nine PMR

1 leads of which you'll hear from two of them tomorrow from
2 Bo and from Joe. These PMR leads are matrix supported
3 into me and they report to me on a matrix basis. However,
4 they actually report administratively through the
5 operations areas within the M&O. Listed here are also the
6 DOE counterparts for each of these process models. I
7 think one or two of them are here today.

8 We also have a PA representative whose primary
9 role on the team is to make sure that they're working with
10 the process model lead to make sure that the abstractions
11 and the process models are coming together so that they
12 can eventually be fed into TSPA. The PMR lead, himself or
13 herself, are the ones who are wholly responsible for the
14 ultimate technical integration and technical adequacy of
15 the document.

16 We also have a regulatory representative on each
17 team and their role is primarily to make sure that the
18 evolving arguments in the PMRs are arguments that can be
19 used to make the regulatory compliance demonstrations in
20 the future primarily focused on the issue resolution
21 status reports and on comments from external
22 organizations.

23 We also have a QA rep on every team and their
24 primary role is to make sure that the process we're

1 following that I discussed earlier is being properly
2 implemented. We want to make sure we don't get into some
3 of the problems that we've had in the last few years with
4 respect to traceability and transparency. So, they're
5 there to help us out in making sure that the process is
6 being implemented correctly.

7 So, with that, that was a quick overview of how
8 the process works and I'll answer any questions you have.

9 KNOPMAN: All right. Thank you, Mike.

10 Any questions from the Board? Don Runnells?

11 RUNNELLS: A question about the QA procedure on your
12 Slide #5. You have 40 percent, 80 percent, and completed.
13 There must be data from the early days of the project
14 that just cannot be qualified. I mean, things that were
15 not anticipated. An example, I don't know, pick
16 something, petrographic data. Someone studied rocks in
17 the early days of the project and it's impossible to go
18 back and qualify those kinds of data. Is that word
19 completed up there truly 100 percent of the data that will
20 be used in the PMRs will be qualified? Does it mean that
21 you will toss away certain things that cannot be
22 qualified?

23 LUGO: No, let me explain that. The percentages of
24 qualification relates to those data that we believe need

1 to be qualified to directly support the safety case
2 basically and the PMRs. Now, there may be some need to
3 use some data or some desire to use some data as
4 corroborative data that you're indirectly relying upon to
5 basically fill in or bolster your case, but not directly
6 relying upon them. So, you may have--just to pick a
7 number--100 datasets supporting a particular PMR, but
8 which maybe only 70 or 90 of those need to actually be
9 qualified. It doesn't mean you can't use the rest of the
10 data. You're not going to throw it away, but you may use
11 that to be able to show that the ones that you did use to
12 directly support your safety case are corroborated.

13 RUNNELLS: Good, thank you. That helps.

14 KNOPMAN: Dan Bullen?

15 BULLEN: Mike, as a followon to that, I actually have
16 a question on Slide 4 if you want to go back just one.
17 But, first off, let me say that the more I learn about the
18 PMR/AMR process, the more I'm impressed with how ambitious
19 this is. I mean, you're trying to get your arms around
20 the entire world with respect to data and trying to find
21 out what's applicable and what's not.

22 LUGO: I've got big arms.

23 BULLEN: But, as I look at the red box there with the
24 Analysis Modeling Reports going from analysis and process

1 models to abstractions, I recall that when you had the
2 abstraction process for TSPA-VA and you had the
3 abstraction workshops and you had the expert elicitations,
4 it was an extremely excruciating process to try and get
5 the experts to tell you what the right number was and what
6 number you're going to use. So, as I go back to the
7 abstraction process again, I kind of want to know who
8 decides what gets left behind and then what gets carried
9 forward? How do you document this? How do you pick the
10 right sets of data that are applicable to what you're
11 doing and then, you know--well, separate the wheat from
12 the chaff, for example, and decide what's chaff and what
13 gets left behind. So, I guess I need to understand a
14 little bit more in detail how you're going to do this 148
15 times and only keep the good stuff?

16 LUGO: Well, first of all, let me tell you there's
17 about 100 AMR leads for these 148 reports, okay? We've
18 asked each of them to tell us what information are they
19 going to use to support their AMRs. Bob Andrews has also
20 initiated a series of what I may call workshops or
21 meetings between the abstractor, the PA representative,
22 for example, and the people that support him, and the
23 modeler or the PMR lead and the AMR lead. They've had
24 those conversations and they're being documented, as far

1 as the agreements that are being reached as far as what
2 information flow I need, you know, what data I don't need.

3 This is also being supplemented by the knowledge of the
4 repository safety strategy. So, that's also relayed on
5 that which Bob discussed a little bit earlier.

6 Yes, it's a tough chore, but we're doing it. You
7 know, we're having those interactions and everything I
8 hear from Bob, for example, and the other operations
9 managers is that at the lower levels at the AMR level,
10 everybody is talking to each other, things are going--you
11 know, the exchange of information is occurring.

12 BULLEN: Okay. I guess, the followon question there
13 would be how do you determine data sufficiency? How do
14 you know when enough is enough? I mean, obviously, as
15 scientists, we'd all love to go back and master every part
16 of the mountain and understand every radionuclide as it
17 goes, but in the case of something like this, you have to
18 decide, okay, we know enough about this process that we
19 can adequately put it into a Process Model Report and
20 describe it. I guess, the understanding of how you decide
21 that, yeah, this is what's necessary and this is what's
22 sufficient is something that's sort of intriguing to, you
23 know, the performance assessment panel chair who is trying
24 to look at what you've done and decide, yeah, did that

1 make sense or did they leave something out. How do you
2 define sufficiency?

3 LUGO: Well, let me tell you just like Steve Brocoum
4 answered one of his questions, there is no black and white
5 answer to this, but it's a combination of things you have
6 to balance. One is what is that technical person that's
7 responsible for that report, what does he or she believe
8 is technically defensible when they have to get up and
9 defend it? Number two, they also have to consider what
10 other people have said about that like the discussion we
11 had over there on cladding. Some people may think
12 internally we can support cladding; other people say, no,
13 we're not going to be able to support defending it. So,
14 maybe let's not up-play that too much. So, you've got to
15 balance those two; not only what you think is defensible
16 and what you think other people that are going to be
17 critiquing you and overseeing you think is defensible.

18 BULLEN: And, all of this will be either in the AMRs
19 or the PMRs so we'll be able to see the decision process
20 or the thought process?

21 LUGO: Yeah, this section of the AMRs themselves are
22 the building blocks of the core technical data under core
23 technical arguments. The PMRs themselves, there may be
24 exceptions here or there, but they're not really intended

1 to come up with new information. They're pretty much
2 summarizing what's in the AMRs and putting them, you know,
3 in perspective with respect to the one overall process
4 model. But, it's really the AMRs where you see the guts
5 of all the technical arguments and discussion.

6 BULLEN: And, Leon just handed me--I think it was
7 Leon--handed me a little note here. Will you use expert
8 elicitation in TSPA-SR? Will there be an expert
9 elicitation process in that or--

10 LUGO: I'll let Steve handle that one.

11 BROCOUM: Another one of those tough questions. I'm
12 not sure what our plans are. Is that a question for me to
13 answer or a question for you to answer?

14 LUGO: I don't know. Bob, do you use experts in
15 TSPA-SR or not?

16 ANDREWS: The only two expert elicitation results
17 that will be used in the SR are the probabilistic volcanic
18 hazard assessment which was an expert elicitation and the
19 probabilistic seismic hazard assessment which was also an
20 expert elicitation. Those two will be used as direct
21 inputs, you know, into the seismic risk and volcanic risk
22 for the disruptive events. The other inputs, you know,
23 will not be directly used; they might be indirectly used
24 as either confirmatory information or conflicting

1 information that has to be evaluated and addressed. But,
2 not directly used quantitatively in the assessment.

3 LUGO: Okay, thank you.

4 KNOPMAN: I have a question. I'm all for
5 decentralization as much as possible, but I'm a little bit
6 puzzled about the autonomy you appear to be giving to
7 those kind of responsible for each of the individual AMRs
8 in terms of setting a standard for themselves on data
9 sufficiency. While I realize you can't be rigid about
10 this, it seems to me that, for example, having some vague
11 idea of the way you want to represent variability for a
12 given parameter or model uncertainty and the way in which
13 you'd want to be able to bound model uncertainty will
14 require consistency from AMR to AMR, if at some point
15 someone is going to talk about the accumulation or the
16 cumulative uncertainty that has built up and then will
17 ripple through the abstraction process into TSPA analysis.
18 And, if it's a cacophony of voices there on how important
19 uncertainty is and what that notion of uncertainty is for
20 key parameters, I don't see how you make sense of that at
21 the end. So, what kind of guidance do you give in terms
22 of the way you want parameters to be represented
23 statistically and models and model uncertainty?

24 LUGO: Okay. If I left you with that impression, I

1 didn't mean to. There's not so much autonomy at the AMR
2 level. Like I mentioned before, the PMR lead in each case
3 is the one that we're holding ultimately responsible and
4 accountable for the technical integration and technical
5 adequacy of the PMR and its supporting AMRs. Okay? What
6 we have done is I've gone to the AMR leads to get that
7 information, but it has been vented through primarily
8 these two individuals here which is the PMR lead as it
9 fits together with that whole PMR, as well as the PA
10 representative, and how it fits together into the TSPA.
11 And, all of that, the primary guidance that we have been
12 supplying has to do with the repository safety strategy
13 and the relative importance of the different factors.
14 Like was mentioned before with Mike Voegele, we are using
15 that repository safety strategy to prioritize the
16 information that we're going to use.

17 KNOPMAN: Well, let me put it this way. I'd be
18 interested in seeing in writing the part of the repository
19 safety strategy that speaks to kind of the standard by
20 which uncertainty is going to--parameter uncertainty will
21 be represented, as well as model uncertainty. I'd like to
22 see what kind of guidance is being given to each of these
23 PMR leads so that--it's an important issue for the Board
24 to understand what that is.

1 LUGO: Let me ask Bob. Is this also in the TSPA
2 methodology and assumptions document?

3 ANDREWS: What we've done in the methodology and
4 assumption document is, first off, put which AMRs are
5 providing that last, if you will, parameter feed and how
6 the uncertainty in that parameter is expected. You know,
7 the actual range of uncertainty that that parameter or
8 alternative model has is right now really up to the AMR--
9 the key technical people who understand that issue because
10 we're asking them to defend that range of uncertainty and
11 they are closest to that technical issue, they are closest
12 to the comments received on that technical component
13 whether those comments have been from this Board or NRC or
14 our own peer review. So, they understand the technical
15 scientific questions associated with their component of
16 the system better than anybody else. They're the ones
17 that have to defend it. And, like what Mike said is 100
18 percent right; if in the case, especially of the factors,
19 it is easier for them to defensibly bound it and take the
20 uncertainty with respect to that factor, more or less, off
21 the table, then that's okay based on the factor versus
22 principle factor division. But, that's on a really
23 scientific technical area by technical area basis.

24 KNOPMAN: Let me just make sure I understand. If you

1 end up with a parameter that's bounded, you say it's taken
2 off the table, but it's still part of the modeling
3 process.

4 ANDREWS: It's still part of the model, yes.

5 KNOPMAN: Are you then using those bounds or are you
6 taking a mean?

7 ANDREWS: Reasonable bound.

8 KNOPMAN: What?

9 ANDREWS: For that component of the system.

10 KNOPMAN: That's for the probabilistic analysis, but
11 you're also doing a deterministic analysis.

12 ANDREWS: Which would still use that bound.

13 KNOPMAN: Well, you have to run it twice. You have
14 an upper and a lower so it's--

15 ANDREWS: No, we're going to look at the conservative
16 bound and one that worsens the performance.

17 KNOPMAN: You'll take the worst bound?

18 ANDREWS: Yeah, yeah, yeah.

19 KNOPMAN: Okay. I hope it will be in your effort to
20 convey transparency that all of the--I mean, you've got
21 thousands of parameters, only a few are probably really
22 drivers, but that it will be relatively easy for us and
23 for other members of the public to be able to identify
24 what those bounds look like on those parameters, as well

1 as what the uncertainty in model--we'll be getting to a
2 discussion of model invalidation and validation issues
3 later, but that will be obvious, too, and we're not going
4 to have to go to a 10th level document to dig that out.

5 ANDREWS: We agree.

6 KNOPMAN: Okay. Any other questions from the Board
7 or staff?

8 COHON: Could you go to Slide 5, please; the little
9 bar on the bottom that you talked about before, the data
10 qualification, etcetera. The way you talked about it and
11 the way you presented it suggest that those three things
12 move in lockstep. That is data qualification, software,
13 model validation are all at 40 percent, all 80 percent,
14 all complete. Did I under--is that--

15 ANDREWS: Yes, that's not because there's a linkage
16 between the three. It's just that's the goal that we
17 chose for each one of them.

18 COHON: Okay.

19 ANDREWS: I just chose one number so I didn't have to
20 show three numbers because they're all the same.

21 COHON: Okay. But, in fact, there may be a
22 different--

23 ANDREWS: Yes. They're all the same number.

24 COHON: Okay, fine. Thank you.

1 KNOPMAN: Any further questions?

2 (No response.)

3 KNOPMAN: Okay. Thanks, Mike.

4 We'll move right along to Mark Peters who is
5 going to give us an update on the scientific and technical
6 investigations. Mark is the manager of Field Testing and
7 EBS and Repository Design Support Office at Los Alamos.

8 PETERS: It's good to be back. Today, I'm going to
9 give you all an update on the scientific and technical
10 investigations. As a lead in, I'm going to be talking
11 about data that we've collected to date. So, following
12 Dr. Bullen's question this morning, this is information
13 that will be incorporated into the Rev.00 AMR/PMR process.
14 Following me after a long break that includes dinner and
15 a good night's sleep, Jean will talk tomorrow morning on
16 the plans from here out where we're feeding into the
17 Rev.01 AMR/PMR process.

18 I'm covering several areas of testing that
19 include natural systems, as well as the engineered system.
20 Just as an overview, I've tied the testing program into
21 the factors of the repository safety strategy and tying
22 back to the presentations this morning by Abe and Mike
23 Voegele. Factors related to the unsaturated zone, climate
24 and the unsaturated zone. I'll give you an update on the

1 bulkhead studies in the cross-drift, some updates on
2 Alcove 1 and Alcove 7 in the ESF, a brief update on where
3 we're at with the Chlorine-36 validation studies, as well
4 as fluid inclusion work. A lot of this is just updating
5 from what I told you at the end of June in Beatty.

6 The factors associated with impact of heat,
7 coupled processes, a brief update on the drift scale test.
8 This is brief. You did hear from Debbie Barr in Beatty
9 with a more detailed presentation on the drift scale test.
10 Then, to flow and transport below the repository horizon,
11 colloid sorption, matrix diffusion, and there I'll take
12 about Busted Butte. I'll focus here on an issue that the
13 Board is very interested in on the applicability of the
14 results at Busted Butte to underneath the repository
15 horizon. That will be the main focus of that discussion.

16

17 To the saturated zone, give you an update on how
18 we're integrating Nye County results into our saturated
19 zone flow and transport model and also some preliminary
20 conclusions from the SD-6 aquifer pump testing that we've
21 just completed.

22 Then, getting into the engineered barrier
23 focusing on again the performance of the drop shield waste
24 package, an update on what's going on at the Atlas

1 facility, the EBS pilot-scale testing, and then a couple
2 of slides on where we're at with waste package materials
3 testing. Joe Farmer will talk tomorrow about the waste
4 package degradation PMR and he'll be on model validation
5 so he can provide a lot of details, as well, on this
6 particular testing program.

7 First, I'll start on the natural systems. This
8 is a slide we've all seen before, I believe. It's just to
9 get everybody oriented; the exploratory studies facility
10 and the cross drift here in red with the potential
11 repository block to the west of ESF. Today, I'll focus on
12 results from Alcove 1 and Alcove 7, as well as some
13 discussion of what's going on in the cross drift.

14 This is a blowup of the cross drift, in
15 particular. Again, I'll talk some about Alcove 7 and the
16 Ghost Dance Fault testing, Alcove 1 which is off the map
17 up here. But, the important point here is this is the
18 layout of the cross drift. It shows the proposed
19 locations of the niches and alcoves in the cross drift.
20 Jean will talk in the morning about the testing, the niche
21 alcove testing, that we're starting construction on and
22 we're planning for next fiscal year. I'm going to focus
23 on the bulkhead studies. If you remember from June, we've
24 installed two bulkheads in the cross drift; one about

1 halfway down the cross drift at about 1750 meters and one
2 at about 2500 meters just before the Solitario Canyon
3 Fault. We've since closed those doors and this. So,
4 we've isolated the back half of the cross drift from the
5 ventilation system and we're sort of watching it return to
6 ambient state.

7 Probably important to remember the cross drift
8 exposes pretty much the major part of the Topopah Spring
9 tuff. As we go down the cross drift from the start of the
10 cross drift to right about here is all upper lithophysal.

11 This will mean something to you all when I show some of
12 the data. The middle nonlithophysal which would make up
13 about upper 10 percent of the repository horizon is
14 exposed from about here to about here. Then, we have
15 lower lithophysal from here pretty much all the way down
16 close to the Solitario Canyon Fault.

17 First the bulkhead studies, we're looking at flow
18 and seepage processes in the repository host rocks. The
19 first bulkhead is in about the middle of the lower
20 lithophysal unit and again it goes all the way through
21 including the isolated Solitario Canyon Fault zone.

22 There's two bulkheads. We closed those doors in mid-June.

23 So, we haven't been ventilating in there. We've got
24 hydrologic instrumentation. Basically, every 25 meters,

1 we have hydrologic instrumentation that's measuring water
2 potential at two meters depth through the rock. And,
3 again, we've isolated it from ventilation, but we do plan
4 on entering in there approximately every two months. We
5 just went in last week actually for a couple days. So,
6 there, we break the ventilation, enter, do some
7 maintenance on the instruments. We also do active
8 geophysical measurements, neutron logging where we're
9 looking at changes in water content and that requires
10 somebody going in and actually putting something down
11 borehole. The systematic instrumentation is hooked up by
12 phone lines. So, that, we're collecting real time as we
13 go. And, we're also going in and turning the head on the
14 TBM as part of the TBM maintenance program.

15 This is some water potential data from the cross
16 drift. This is water potential in -bars. So, dry is in
17 this direction. So, as we get wetter, water potential
18 would tend to go towards zero. So, for example, this is
19 over 2400 meters from the start of the cross drift. Three
20 dates plotted; December, April, and then recently here in
21 August. A couple of things to note. You've seen the data
22 through April at the last update. It's important to
23 notice that early-on before we saw the effects of
24 ventilation--I should back up and say this data is all

1 from instruments that are two meters in the rock. So, it
2 had yet to see the influence of ventilation at that time.

3 So, in December, we saw relatively uniform, relatively
4 high water potentials. Then, as we started to see the
5 effects of ventilation even deep in the rock, this is
6 primarily--you can just about pull out the geologic
7 contents by looking at this data. I mentioned that the
8 upper lith is in this area here. The middle non-lith
9 which has a lot more longer through-going fractures, we're
10 seeing drying along the fractures. So, that's why you're
11 probably seeing drying due to ventilation. And, you get
12 into the lower lith and you see much less effect of that.
13 The lower lith has a much lower frequency of long
14 through-going fractures.

15 This is data from a weather station, a temp to
16 relative humidity station, that we have at the surface of
17 the rock beyond the first bulkhead. I mention this rise
18 right here in relative humidity is right after we closed
19 those bulkheads. So, you can see that the environment
20 behind the bulkheads has gone up to close to 100 percent
21 relative humidity very quickly and the temperature tended
22 to stabilize very quickly. Here, it looks like the first
23 door--we had a problem with the second bulkhead door, but
24 you can see the temperature is pretty uniform and the

1 humidity has risen very quickly as compared to before when
2 we were aware that we were getting influences of
3 ventilation.

4 This is data from a heat dissipation probe just
5 before the second bulkhead, three different depths.
6 There's four holes here. We have instruments at 30
7 centimeters on up to 150 centimeters. Important point
8 here is at great depth, we're already seeing the influence
9 of ventilation before we closed the bulkheads. The purple
10 right here is at 70 centimeters and we were starting to
11 see some drying as we were at 30 centimeters depth, but
12 you can see that there's a turn and we're starting to see
13 rewetting here. So, that's the trend associated with the
14 rock starting to rewet right when we closed the bulkheads
15 right around the 23rd of June. So, this is the kind of
16 information that we're collecting from those instruments
17 that's allowing us to monitor how the drift's rewetting.
18 And then, eventually, when we see likely spots where we
19 might expect some drifts, we'll go in and install some
20 drip cloth type collection systems like we have in Alcove
21 7 to try to collect drips if we see any. Right now, we
22 don't expect to see anything in there. This is the kind
23 of data that will give you a feel for the kind of data
24 we'll collect.

1 Alcove 1, again the purpose of Alcove 1 is to
2 look at infiltration and percolation through the Tiva
3 Canyon through unsaturated welded tuffs. It's part of our
4 "El Nino" testing where we're introducing a significant
5 flux of water at the surface and then looking for how it
6 travels through the fractured tuff, but also how seepage
7 into the alcove below takes place. Phase 1 took place
8 last fiscal year and we're in the process of doing Phase 2
9 right now. These are some of the basic statistics as of
10 the end of August. We're again varying the application
11 rates and I'll show you some data in a minute, but we've
12 put about over 40,000 gallons of water on the top of the
13 alcove and we saw seepage in Phase 2 much faster, in about
14 three weeks; whereas in Phase 1 it took about, oh, close
15 to two months to see the first drips into Alcove 1. In
16 Phase 2, we saw it went faster. That was because the
17 fractures had remained relatively saturated from the first
18 phase of the experiment. And, again, this magic 10
19 percent number, as we've gone through Phase 1 and 2, 10
20 percent of the water that we've introduced we tend to see
21 collecting in the alcove in the drip collection system.

22 This is just to remind everybody of the scale.
23 For those who have been to the ESF, this is the hill going
24 up above the--and you're about 30 meters from surface to

1 the crown of Alcove 1. So, that's the scale of the
2 experiment. And, the infiltration plot, this is a plan
3 view showing the infiltration plot which is larger than
4 the plan view of the alcove and the back end of the
5 alcove.

6 Summation as of the end of August, plotted in
7 blue is the cumulative amount of water in gallons through
8 late August. Then, plotted in red is the cumulative
9 amount of water collected in the alcove itself. So,
10 that's the seepage volume.

11 Just to give you a feel, I mentioned that we're
12 varying the volume. This is the flux per day that we're
13 introducing at the top at the surface to collect in the
14 alcove and you can see we're varying it over several
15 factors here. The next slide is a real nice way of
16 showing some of the interesting systematics. Again, the
17 blue is just the applied water as a function of time. The
18 red is the seepage water that we've collected in the
19 alcove. A couple of interesting things to note, there's a
20 little bit of a time delay here. When we increase the
21 volume here, it took a couple of days for us to actually
22 see the increase in the seepage volume in the alcove
23 below. So, you see that delay and you see that throughout
24 as we varied the infiltration rate with time. When the

1 process is varied, remember that there's about 10 parts
2 per million lithium bromide in the water that we're
3 introducing. We're in the process of starting to change
4 that concentration to see how that affects and then we'll
5 start getting this better idea for fracture matrix
6 interaction, the matrix diffusion processes in the Tiva
7 Canyon.

8 Alcove 7, again that is the southern Ghost Dance
9 Fault alcove. Here, it was another part of our so-called
10 El Nino experiments there. We've installed some bulkheads
11 where we've isolated the back half of the alcove that
12 includes the Ghost Dance Fault and we were basically
13 looking for seepage into the alcove near the Ghost Dance
14 Fault. A couple of bullets on what we saw. As in the
15 cross drift, the rock returned ambient conditions meaning
16 greater than 99 percent humidity very quickly and we had
17 not seen any drifts. We go in there periodically. We
18 have a drip cloth collection system and we've yet to see
19 any dripping water in that alcove.

20 Some preliminary data from the USGS. This is the
21 interim heat dissipation probes. This is water potential
22 again in bars versus station location. There's two
23 bulkheads in this alcove. One is actually up here around
24 Station 60. So, Station 0 starts at the ESF. So, the

1 first bulkhead isn't even shown. These particular heat
2 dissipation probes are at about 70 centimeters depth. So,
3 they saw a tremendous amount of drying because, remember,
4 in the ESF we'd been ventilating for quite while before we
5 even installed these probes. In the case of Alcove 7, the
6 first bulkhead is not doing a very good job of sealing.
7 So, that's probably why we're still seeing some
8 significant drying in the rock before the first bulkhead.

9 The second bulkhead tends to seal things off a lot
10 better. One thing we can say, we haven't seen any
11 dripping water. Behind that second bulkhead, the water
12 potentials are going up to very similar to what we saw in
13 the cross drift in the sort of -1 bar range. We don't see
14 any influence of the fault. I say that and then there's
15 this one outlying data point, but we think we have an
16 explanation for--the fact because it's showing dry water
17 potentials, it probably is an artifact of not being in
18 good contact with the rock. So, we're not seeing any
19 drips. It's returning to pretty much ambient water
20 potentials in Alcove 7, as well, despite the fact that the
21 Ghost Dance Fault comes right through here.

22 Chorine-36 validation. In January, I told you we
23 were about to start doing this. In June, we were in the
24 process of drilling. I don't have a lot more to update

1 you on. We've had some delays in the field, as well as
2 working on some quality assurance and getting procedures
3 together, etcetera, for the analyses. So, I don't have a
4 whole lot more to tell you on this. But, just to refresh
5 your memory, we are in the process of collecting samples
6 at the Sundance Fault and the Drillhole Wash Fault
7 structure and the ESF by drilling two to six meter long
8 boreholes, mostly two meter long boreholes. This is
9 again--these were two of the locations in the ESF where we
10 saw apparent bomb pulse where June Fabryka-Martin and
11 coworkers have found bomb pulse Chlorine-36. So, we're
12 going in and we're conducting foundation experiments where
13 we're taking core, analyzing for Chlorine-36 and also
14 looking for tritium, technetium-99, and also doing some U
15 series analyses. this is a cooperative study between the
16 USGS, Livermore, and June is also analyzing some slits of
17 the samples so that we have a good comparison.

18 We've completed 23 of the boreholes. More
19 importantly, all of our procedures at the USGS, Livermore,
20 and the Canadian group, AECL, are in place. Livermore is
21 in the process of starting their analyses for Chlorine-36
22 and technetium-99 and USGS has done some water extractions
23 and they're prepared to start doing tritium analyses and
24 also AECL has begun. I'd like to say that at the next

1 Board meeting we'll have some real data to show you all.
2 I'll make that a goal.

3 Fluid inclusions. Again, to refresh your memory,
4 there's a cooperative study with UNLV, DOE, primarily the
5 USGS, and the State of Nevada, and here we're addressing
6 the paleohydrology, the upflowing water issues, associated
7 with whether some of the fracture minerals have been
8 associated with upflowing or downward percolating water.
9 We've done a lot of sampling. We had done a lot of
10 sampling when I talked to you in June from the ESF and
11 cross drift. We're having integrated workshops where all
12 the participants are getting together and looking at
13 samples together under a microscope. Right now, we're in
14 the process of taking that sample suite and trying to
15 focus on some of the key samples.

16 Some of the preliminary observations. There are
17 fluid inclusions in some of these--it's primarily in the
18 calcites that we're looking for the fluid inclusions in
19 the fracture minerals. There are fluid inclusions that
20 indicate relative high temperatures, 30 to 50 degrees C, a
21 couple that maybe even have homogenization temperatures as
22 high as 80C. The key is how old are they? What's their
23 age? And, that's really what we're focusing on right now.
24 Right now, preliminary observations of the USGS suggest

1 that they're restricted to the older calcites and that's
2 based on just a field observation. The USGS is in the
3 process, as well as UNLV independently, of identifying
4 cross-cutting opals and primarily they'll be able to use
5 geochronology to try to really nail the age of those fluid
6 inclusions. So, that's really going to be the big focus
7 into '00 and this currently is planned for '00 to really
8 go in and look at the geochronology in detail.

9 Drift scale test, I probably don't need to remind
10 everybody what the purpose of that is. We're evaluating
11 coupled processes at the field scale in repository horizon
12 rocks, in the middle level lithophysal which is the upper
13 10 percent of the potential repository. A couple of
14 bullets to refresh your memory, the heating phase data to
15 date suggests that the heat transfer is conduction
16 dominated. There is a key role being played by boiling
17 and moisture moving around through convective processes.
18 The pore water that's being mobilized by the heat is
19 tending to move above the heated drift and then drains on
20 each side. So, we're not ponding above the heated drift.
21 We're actually draining and seeing wetting on each side
22 below the heated drift. I think one important point here--
23 --I've got a plot that will address this
24 --is the coupled process phenomena. There's been a lot of

1 discussion about boiling versus sub-boiling, but I think
2 it's important to remember that some of the phenomena that
3 we're looking at in terms of coupled processes will still
4 occur even at sub-boiling temperatures and I think I've
5 got some data and we'll get to that.

6 Just a refresher, there's probably no need to
7 dwell on this, this is the way out of the drift scale
8 test.

9 Status update, this is a plot you've seen before.
10 Again, we're running at right around power shown in
11 green. We're running it right around 185 kilowatts and
12 this is the temperature profile for the representative
13 drift wall temperature sensor. You can see some blips in
14 here. We have had some power outages. We had a pretty
15 long power outage actually, about four or five days, back
16 in late June or early July. We were down for four or five
17 days. But, some of these are actually scheduled power
18 outages, but that's producing the blips in the temperature
19 history, as well as the power. We're still moving forward
20 towards a target of 200C at the drift wall, but we're in
21 the processes of scoring--remember, we have the ability to
22 turn--right now, we're at about 100 percent power on the
23 wing heaters and 80 percent on the canisters. We have the
24 ability to turn that power back to maintain that 200C.

1 We're in the process of evaluating how we're going to go
2 do that here probably within the next month or so.

3 Another temperature diagram. This particular
4 diagram is two boreholes, horizontal boreholes, that run
5 right above the plane of wing heaters. So, that's why you
6 get this humped profile. This is just the same set of
7 temperature sensors. So, this is the heated drift here,
8 the power of each borehole, and you're just moving down
9 borehole and this is just marching through time. I
10 believe, Debbie showed some animations of these kind of
11 temperatures last time. The humped profile is simply
12 because the inner wing heaters are at lower power than the
13 outer wing heaters. You can see the flattening as we went
14 through local boiling at 96C and you've picked up the hump
15 profile again and you can see the wing heaters where this
16 is data through mid-August, I believe. You can see we're
17 up above 200C close to the wing heaters. We're reaching a
18 quasi-steady state here in the rock.

19 This gets into the point about coupled processes
20 below boiling. Give me a minute to explain what's going
21 on here. There's data from two boreholes shown here.
22 They're both vertical boreholes from the heated drift.
23 One is a temperature borehole that has RTD temperature
24 sensors in it and then the other borehole is one of

1 Livermore's electrical resistivity tomography boreholes
2 where they're doing geophysics to monitor saturation
3 changes. So, what I've plotted is I've plotted
4 temperature in the temperature borehole versus saturation.
5 Now, what's plotted in saturation space is we did
6 baseline measurements. We did ambient measurements before
7 we started the test. We continued to do active
8 measurements as we're going along. So, I'm comparing the
9 saturation at some point in time versus what it was at
10 ambient. So, anything less than 1 would suggest drying,
11 if that's clear. So, what we're showing--maybe
12 concentrate on one curve. This is data from three
13 different days, but if you concentrate on the data for Day
14 511, you can see that at a given--along that borehole is a
15 function of temperature. You're seeing actual decreases
16 in saturation below boiling. So, it's going from roughly
17 close to a ratio of 1 to ratios below .8. Then, you can
18 see above where we might even get a change in slope and
19 maybe additional significant drying. This was expected.
20 You know, if you look at the steam tables as you go up in
21 temperature, you expect more to go into the vapor and
22 vapor pressure would increase. I guess, the important
23 point is we're seeing pH phenomena at sub-boiling
24 temperatures. Chemistry, we'll still see even at 60 or 70

1 degrees C, if you have water, it's hot water; so, you're
2 still going to see chemical effects and there will still
3 likely be mechanical effects. So, I guess the big message
4 is there's still coupled process phenomena that we have to
5 address as we go forward and incorporate information into
6 performance assessment.

7 Busted Butte, just to refresh your memory on the
8 purpose of Busted Butte, looking at flow and transport
9 processes in the Calico Hills, you heard a lot about Phase
10 1 work at the last meeting. Paul Dixon gave you an update
11 on that. Phase 1, we basically completed the field work
12 and we're now primarily just continuing to inject in Phase
13 2. We continue to collect collection pads and we're in
14 the process of doing the quantitative analysis in the lab.

15 Just to remind everybody where Phase 2 is, I'll
16 emphasize Phase 1 which is the smaller scale experiments.
17 Phase 2 is the large test block here. If you've been in
18 the tunnel when you walk in, on the right hand side. So,
19 this is where we're concentrating our fuel work right now
20 and right now the plan would be to continue this injection
21 collection analysis for the program into '00.

22 Probably, I want to spend more time on the issue
23 that I know the Board is interested in which is the
24 applicability to the potential repository block. It was

1 discussed some at the last meeting and I've put together
2 some slides that you can have a look at and maybe generate
3 some discussion. Remember, Busted Butte test bed is
4 primarily in a vitric, a glassy part of the subunit of the
5 Calico Hills. Busted Butte is southeast of the repository
6 block right about, let's say, eight--five or eight miles
7 to the southeast of the repository block. Here, we're
8 looking at a vitric subunit of the Calico Hills. We're
9 evaluating fracture matrix interaction, matrix diffusion,
10 and matrix dominated sorption. But, Calico Hills, it's
11 not an analogue. It's actually a distal extension of the
12 Calico Hills as exposed underneath the repository block.
13 I also have a slide in here that will bring out the point.
14 The Mineralogic-Petrologic model that we're using in ISM,
15 the integrated site model, does provide a framework for us
16 to look at the vitric/zeolitic distribution in the Calico
17 under the repository block.

18 So, let me show a couple slides. This is a
19 stratigraphic comparison. This is Borehole H-5 which is
20 over on the west side of the repository block and the
21 stratigraphic section as exposed to Busted Butte. This
22 gets at my first point that this is really just a distal
23 extension; it's not an analogue. You see a lot of
24 similarities. You see a thick section of Calico Hills

1 vitric; at H-5, you see a much thinner section, but still
2 primarily vitric unit. The one thing that's missing at
3 Busted Butte is this fully zeolitized horizon or the
4 partially zeolitized horizon, but you can see that this
5 vitric and then in the vitric/zeolitic is exposed to
6 Busted Butte as the distal extension of that formation.

7 Getting at the Min-Pet model and the
8 representiveness, this is a slice out of the Mineralogic-
9 Petrologic model from ISM. This is the ESF here just to
10 get you oriented. Here is the ESF, there's the cross
11 drift. So, the repository block is right in there. The
12 color ski is percent to zeolites. Again, this is the top
13 of the Calico Hills. So, it's the very top of the Calico
14 Hills. So, you can see on the side here, the cutaway, it
15 also shows the other parts of the Calico Hills. So,
16 theoretically, I could just show a series of slides and it
17 shows slices of the Calico. For purposes of this
18 discussion, if you look at the overall average zeolite
19 distribution in the whole Calico, it tends to be zeolitic
20 in the upper half and vitric in the lower half. You can
21 see also on here are these--excuse for the projection--but
22 there is these lines, these sort of slanted lines. Those
23 are actually for borehole control. So, these are the
24 boreholes where we have input for the Min-Pet model. So,

1 this is the kind of framework that we have to understand
2 the vitric and zeolitic distribution in the Calico. Then,
3 use the information from Busted Butte to incorporate that
4 into the process model. So, this gives you a feel for the
5 borehole coverage and how confident we might be in the
6 distribution under repository block.

7 On to the saturated zone, we are in the process
8 of incorporating data from the Nye County program. This
9 gives you a list of some of the data that's being
10 incorporated into the saturated zone flow and transport
11 model. Looking at cuttings from their wells,
12 incorporating lithologic data into the hydrogeologic
13 framework model. We're also looking at the water-level
14 data for far-field calibration. Looking at the pump test
15 data. We've also taken some samples of alluvium and we're
16 doing some laboratory sorption experiments at Los Alamos
17 for these three key radionuclides to incorporate into the
18 process model, as well as performance assessment. Then,
19 we've collected some water samples and we're doing
20 hydrochemistry, major cations and anions primarily again
21 for calibrating the flow fields, and finally we've also
22 done some Eh/pH measurements in some of the boreholes, as
23 well, to address some solubility speciation issues for
24 some of the key radionuclides; namely, technetium and

1 neptunium are two of the important.

2 We're also working diligently to establish some
3 processes and interfaces so that we can take the Nye
4 County data, transfer it, control it, and allow for
5 incorporation into our saturated zone Process Model
6 Report. And, we're in the process of integrating and
7 coordinating and working with Nye County for the next
8 phases and Jean will talk a little bit about that
9 tomorrow.

10 SD-6, I had mentioned in June that we had finally
11 hit total depth on SD-6 and we were in the process of
12 doing a pump test. These are some preliminary results
13 from the USGS and studies there. We pumped the borehole
14 for about two weeks. We were about 300 feet below the
15 water table. That was our total depth. We were only
16 able to pump at about 15.5 gallons per minute which was
17 much less than we thought we would be pumping at. We drew
18 the well down by about 163 feet and we were monitoring
19 nearby boreholes to see if we could stress the aquifer in
20 a more regional sense and we were unable to see any
21 drawdown in any of the nearby holes. And, at first cut, a
22 very preliminary conclusion would be the permeability of
23 the water-bearing fractures that we encountered at the
24 bottom of SD-6 was very low and any transmissivity

1 estimates that we're getting out of the test probably
2 aren't representative of the primary fracture system.
3 But, again, we met the testing requirement. We hit the
4 water table and then went the additional 300 feet and were
5 able to at least generate a reasonable pump test over two
6 weeks.

7 Switching gears completely from the natural
8 system over to the engineered system. We've talked about
9 the Atlas testing, the pilot-scale testing that's going on
10 in north Las Vegas. First, I'll talk about the test
11 canister #1. That's where we were looking at Richard's
12 Barrier that was originally conceived to support the LADS
13 effort early-on, but we're continuing this test because
14 we're also gaining valuable information on potential
15 backfill materials. That test is continuing. Again, it's
16 a Richard's Barrier. It's a core and with a medium sand
17 over top of it and I'll show some pictures in a second.
18 But, it's been going on since mid-December and we are
19 dripping at superpluvial rates, a lot of water going on
20 top of this Richard's Barrier. And, it continues to
21 effectively re-divert the water and I'll show a plot that
22 gets at that point in a second.

23 Just a reminder, this is about a meter and a
24 half, a little under a meter and a half in diameter in the

1 canister itself. It's about four meters long. There is a
2 clear acrylic plastic tube that is sort of a mock waste
3 canister and you have the coarse with the fine aggregate
4 over top and there's instrumentation throughout the
5 backfill. We're also weighing the tank and we're also
6 weighing the breakthrough water and that's what gives us
7 our mass balance on where the water is flowing through the
8 system.

9 Just some pictures. This again is that acrylic--
10 that mock waste container and this is when we were in the
11 process of putting the backfill into the system and here's
12 the top of the fine after we were finished emplacing the
13 backfills.

14 This shows some data as of pretty much the end of
15 August. This is the water bounds for canister 1. So,
16 we've got weight, the water in pounds versus time. The
17 blue curve here is the weight of the water injected. The
18 purple curve here called stored is the weight of the tank
19 that basically that's the water that's being stored in the
20 backfill. So, that's the change in the weight of the tank
21 with time. And then, we've also plotted the breakthrough
22 water. So, you can see what makes up this difference is
23 primarily the water that's been diverted by the capillary
24 barrier itself, the coarse/fine interface. So, that's

1 being collected off the sides of the canister. So, the
2 basic point here is that nearly 98 percent of the water is
3 either diverted by the barrier or it's stored in the
4 backfill. So, we've seen very little breakthrough.

5 Test canister 2 was a normal backfill. I talked
6 about that last meeting. That only ran for about three to
7 four weeks. So, I'm going to focus a little bit on
8 canister 3 and that's in the process right now. Some
9 things happening there. That's to look at processes in
10 the EBS, but we've got a drip shield with a mock waste
11 package. So, again, it's a drip shield. It's a two
12 centimeter thick stainless. It's got a crushed tuff
13 invert, no backfill. And, we're just in the process of
14 starting the dripping. So, we heated with no drip shield
15 from early June up until early last week. We then
16 emplaced the drip shield and heated pretty much end of
17 last week, over the weekend, and I haven't had a chance to
18 check, but we were supposed to start dripping

19 yesterday or today. So, we should be in the process of
20 dripping onto that drip shield right now and then
21 monitoring the interaction between the drip shield and the
22 waste package and particularly focusing on whether we get
23 any condensation on the underside of the drip shield and
24 dripping out of the waste package.

1 This is again same scale. This is just a drawing
2 of that test layout. I've got a test layout, I've got a
3 picture of this that's more informative. This is again
4 about a meter and a half in diameter. Here's the drip
5 shield with the mock waste package. There's a five
6 kilowatt, 5,000 watt, heater that runs down the axis of
7 this mock waste package and then there's crushed tuff
8 ballasted in the invert. And, again, there will be no
9 backfill placed over the top of this. So, we'll be
10 dripping in drip collection systems above the drip shield.

11 And, Livermore, primarily, has done a whole series of
12 predictions on what they expect to see here, much
13 different conceptual models, and so it will be interesting
14 to compare to what we actually see. We're in the process
15 of--there's additional testing plan and Jean will get to
16 that tomorrow and also talk a little bit more about
17 canister 3.

18 This is data from canister 3. What we're doing
19 is this is data from four different temperature sensors.
20 This shows where the tests are coming from just to show
21 you that we're maintaining the temperature of that mock
22 waste canister at eight degrees C and the surface of the
23 test canister itself is maintained at 60 degrees C and you
24 can see the temperature in the invert is close to 65C, but

1 this is data that we've been collecting since mid-June
2 just as a baseline before we emplace the drip shield.

3 Switching gears now over to waste package
4 materials, everybody understands the objective here is to
5 confirm corrosion rates and the corrosion mechanisms for
6 waste package and drip shield materials. So, the testing
7 program that you heard about from Joe Farmer in June,
8 you're going to hear more about tomorrow interims of model
9 validation. That's ongoing. So, we're still addressing
10 the key materials degradation issues. We're still looking
11 at a wide range of test environments, varying the total
12 solid content of J-13 all the way up to basically
13 saturated J-13. So, anywhere from 10 times all the way up
14 to saturated now, varying pHs, etcetera.

15 We are looking at localized corrosion testing in
16 terms of crevice corrosion, as well as looking at the
17 stability of the passive films and the influence of
18 hydrogen pickup on the candidate materials, and we also
19 are doing some interesting studies on the long-term
20 stability of the passive films that develop on Alloy 22
21 and the titanium drip shield materials. Basically, by
22 doing a lot of microstructural examination with atomic
23 force microscopy to see--basically, you take a topographic
24 map of the surface of the specimen so you can see how that

1 passive film grows and what it's distribution is over the
2 surface.

3 We're also looking at stress corrosion cracking.

4 There, we're actually, you know, initiating cracks and
5 looking at how they grow, looking at how the passive film
6 interacts with the alloy. Then, finally, we're also doing
7 some computer simulations, thermodynamic modeling of the
8 long-term thermal stability in terms of the stability of
9 Alloy 22 and how the impact of intermetallic phases and
10 other phases might affect the long-term stability of Alloy
11 22.

12 That's a very quick overview of what they're
13 doing at Livermore. Joe will probably touch on a lot of
14 that in more detail tomorrow. That's it for my update.

15 KNOPMAN: Thank you, Mark.

16 Questions from the Board?

17 NELSON: Thanks for a lot of information, Mark. I've
18 got a couple of questions for you and I'll just throw them
19 out at you. I think the first that I have is water
20 potential, it seems to not get to zero. What water
21 potential would you expect? Is there a linkage? Does it
22 have to get to zero before you have drips?

23 PETERS: You know what, you're asking a non-
24 hydrologist and I believe it does not have to get to zero

1 to see drips, but somebody--

2 NELSON: Is there a model for the prediction of where
3 it has to be to get drips?

4 PETERS: Well, he's gone? He's outside.

5 NELSON: Okay. I'll ask him tomorrow. Can I ask you
6 is there any air exchange evidenced through the rock mass?
7 I'm trying to understand how much of it is air exchange.
8 Maybe air exchange from the bulkheaded zones with outside
9 through the rock mass?

10 PETERS: We grouted and we sealed with sodium
11 silicate on each side of the bulkhead to try to minimize
12 that. So, you're thinking two to five meters back through
13 the fracture, rock mass, and around?

14 NELSON: Yeah, I'm wondering because you seem to say
15 there is some evidence that there is some circulation like
16 that. You get a barometric response, some sense of an air
17 movement possible. Could be something like an air
18 dilution rate, you know, if you put some gas in there.
19 Maybe something like a dilution rate might be used to--

20 PETERS: But, the air moving through the mountain
21 with--you'd see that just any--I mean, what we're
22 primarily seeing is the effect of the ventilation from
23 following it. The ventilation will mask that in my mind.

24 NELSON: Right. Well, except in the bulkheaded

1 sections.

2 PETERS: Yeah, and there we're just going back to
3 whatever--but, that air flow through the mountain is going
4 to produce some kind of natural saturation level in the
5 mountain. We're not communicating. We're not seeing any
6 evidence behind the bulkhead of any communication through
7 the rock mass other than what you would expect normally.

8 NELSON: Well, I actually suspected through the rock
9 mass with the presence of the bulkhead and the openings
10 that do communicate with the outside, you're going have
11 some air exchange.

12 PETERS: But, we've actually seen real nice ceiling
13 at that--that first bulkhead seems to provide a very--it's
14 providing a really good seal. I'm sure there's going to
15 be some impact, but talking to the USGS hydrologists, that
16 first bulkhead, so far, seems to be sealing up pretty
17 well. We're seeing very little--

18 NELSON: But, you do expect some permeability to the
19 rock mass in which case there must be--

20 PETERS: Yeah, but I'm not sure we would be able to
21 pick that up in the noise of what we're looking at.

22 NELSON: Okay. Just real fast, do you have a model
23 for the Richard's Barrier such that it might be possible
24 to use it to evaluate the effect of construction

1 imperfections on performance?

2 PETERS: We have a performance model for the
3 Richard's Barrier, yes. You mean constructability?

4 NELSON: Yes.

5 PETERS: It hasn't been addressed in detail because
6 it's not being carried forward anymore as an option, if
7 I'm answering the question. And, they've looked at some
8 of that, I believe, during the LADS effort, but right now,
9 the Richard's Barrier isn't being carried forward as an
10 engineered barrier option. Right now, we're going with
11 the drip shield so that we haven't really looked at the
12 constructability issues in any more detail.

13 NELSON: Okay.

14 KNOPMAN: Dick?

15 PARIZEK: On the figure that shows the number of
16 boreholes that penetrated the Calico Hills--it's Figure
17 32-- how many white lines should I have counted? Some of
18 them seem close together and then some of them are short
19 and some are long. It's not only the pattern of zeolite
20 immediately under the footprint, but also at different
21 depths below the footprint. Are all implied there by the
22 length or the height of the white bar?

23 PETERS: All those boreholes are boreholes that
24 penetrate the Calico.

1 PARIZEK: Partway or all the way to the water table?

2 PETERS: Well, it varies.

3 PARIZEK: So, I guess part of this is what percentage
4 of the rock mass would be zeolite from the footprint clear
5 to the water table and some holes would tell us that and
6 others would not?

7 PETERS: Exactly.

8 PARIZEK: So, how many holes are there all together?
9 Do you feel good about saying spatially how zeolites vary
10 under the footprint?

11 PETERS: I think we feel good about how we understand
12 it sort of in a north-south direction because we've got
13 boreholes here and boreholes along the ESF. Where we have
14 a lack of borehole coverage is within the block here.

15 PARIZEK: That's kind of an important place to have
16 some boreholes.

17 PETERS: It's also an important place not to have
18 holes. PARIZEK: But, extrapolating Busted Butte, say,
19 results on the Calico Hills is sort of then problematic as
20 to how relevant the data would be to this particular
21 footprint area. The other question is will the program do
22 anything about that? We heard the possibility you might
23 do some Busted Butte type experiments. Is that in the
24 thinking or not yet in the thinking or shouldn't we worry

1 about it? Well, I think I'm worried about it because I
2 don't know what's down there for rocks.

3 PETERS: Okay. Two points. It sounds like the
4 issue--you come right to the issue in my opinion. It's
5 not whether
6 --Busted Butte isn't an analogue; it's distal extension.
7 The issue is how well we understand what's under the
8 block. I think it's subtle, but that's the issue. Right
9 now, we don't have any plans to do any additional
10 characterization of Calico.

11 PARIZEK: I guess, if the results over the Busted
12 Butte experiment are siting, as they seem to be, then we
13 want to know should we stay sited or should we get service
14 by the extrapolation. So, I guess, the program has to
15 really dig into that.

16 PETERS: Yes, the answer is we have to look into
17 whether we can defend the dataset that we have and can we
18 use the Busted Butte results or we have--or, you know, we
19 have to look at options. I think that's something the
20 program has to be able to do.

21 PARIZEK: All right. Now, SD-6 had a very low
22 transmissivity value, but that doesn't imply that rocks
23 around the footprint will have low values because the
24 pneumatic data suggests high values in places.

1 PETERS: That's right.

2 PARIZEK: So, that's just saying at least it didn't
3 hit any big fractures or big faults.

4 PETERS: That's right.

5 PARIZEK: So, that's neither here nor there, but it's
6 useful.

7 PETERS: But, at the bottom there, we were in--we
8 were well below, we were deep.

9 PARIZEK: Deep, okay. Yeah, then, on the water
10 samples that are coming out of the heated experiments, I
11 guess, you had going on, do we know anything about the
12 chemistry of that water and we do know what minerals are
13 being mobilized and where the minerals are going? I'm
14 kind of interested in a couple of the papers that were
15 given to me here by--I can't pronounce his name properly.
16 It's the Walters papers dealing with silicate mobility.

17 PETERS: Right.

18 PARIZEK: And, it seems to be minor temperature
19 changes moves a hell of a lot of silicate. And, here,
20 you've got some temperatures at least in one of those
21 places that you showed up that was 80 degrees Centigrade
22 to 65 degrees Centigrade. That would be high enough to
23 mobilize silicate, it would appear. Is there any data on
24 that?

1 PETERS: Yeah, there's actually quite a bit. We're
2 seeing variations in the pH, quite a bit of variation in
3 the pH. When we see water that's truly not--we've got a
4 problem. It's we're sampling water sometimes that's
5 actually condensate that's condensing in the sampling
6 tube. So, you've got to be careful. Other pHs get down
7 below five, but that's, I think, easy to understand. pHs
8 where we're collecting real water from the hole that's not
9 condensing in the tube, the ambient pH in the middle non-
10 lith is probably high sevens to above eight, and we're
11 getting pHs below seven as the testing has continued as
12 we've collected water. The dissolved solid content is a
13 little less than J-13 in most cases, but we're seeing
14 evidence of interaction with the fracture minerals,
15 primarily calcite silica as it condenses and interacts
16 with those minerals as it drains into the borehole.

17 I think Debbie talked last time about the
18 influence of CO₂. We are seeing a CO₂ rich gas halo in
19 front of the boiling front and that's probably driving a
20 lot of the pH changes. I think there's probably a lot of
21 calcite dissolution going on. There is some interaction
22 with the opal in the fractures, but I couldn't pull the
23 exact silica concentrations out of m head for you right
24 now. But, we've got that information. That's available

1 and we could get that.

2 PARIZEK: And, the drift scale heater experiment you
3 showed last time or maybe Debbie did, the water movement--
4 well, the water did move because it seemed like bluer on
5 the cross-sectional diagrams that were shown by the wing
6 heaters showing that water somehow got from the rock and
7 got underneath it, but not whether it went by matrix or
8 went through fractures. Is there anything new known about
9 the mechanism of flow or whether it's going through
10 fractures or matrix? It's redistributed moisture, but how
11 does it get there?

12 PETERS: That's hard to tell with the geophysical
13 methods that we have. We do know there's a lot of water
14 flowing through the matrix based on the chemistry, but
15 that's hard to--using the geophysical methods that we
16 have, it's hard to tell whether it's fractures or matrix
17 controlling that flow.

18 PARIZEK: Will Bo address that tomorrow to show us
19 that he can model it?

20 PETERS: Well, you can model it if you do a
21 permeability type conceptual model. Yeah, we modeled it.
22 We did our predictions with equivalent continuum
23 conceptual model and a DKM conceptual model and we clearly
24 can reproduce where the moisture is moving if we use our

1 DKM predictions.

2 PARIZEK: That's what I thought. We saw one diagram
3 that showed the predicted versus observed and--

4 PETERS: Yeah. Yeah, I thought you meant the actual
5 measurements because when I go out and do geophysics I
6 can't tell you, oh, that pocket of water is moving through
7 fractures or matrix, but I can tell you the overall water
8 distribution is consistent with the dual permeability
9 conceptual model. Maybe that answers it.

10 KNOPMAN: Okay. If I may, while you have this slide
11 up, just jump in here with a question. Can you show us on
12 this slide where H-5 is?

13 PETERS: I believe, it's down here.

14 KNOPMAN: Okay. Now, your scale goes--

15 PETERS: Maybe a little further south. It's down the
16 south of the crest.

17 KNOPMAN: Okay. Okay. Your scale on that goes from
18 zero to, what, 85--

19 PETERS: 85, yeah.

20 KNOPMAN: --percent. And, yet, I see about six
21 boreholes in the repository block and I see a huge amount
22 of variation. So, wherever you don't have data, you've
23 just--it looks like you've just--I can't figure out how
24 you could construct that kind of a--

1 PETERS: This is out of the integrated site model
2 which

3 --

4 KNOPMAN: I know, but wherever it comes from, I still
5 don't see how you can blend those pretty colors when you
6 don't have any data.

7 PETERS: This comes directly out of the framework
8 model. We have points of data and then there's a--

9 KNOPMAN: From what?

10 PETERS: The data points are from the boreholes, and
11 then in between those data gaps, you have a--

12 KNOPMAN: A what?

13 PETERS: A framework program, Earth Vision,
14 commercially available that draws surfaces between those
15 data points and provides a framework. It's used by
16 petroleum companies, etcetera, for doing basin models,
17 everything. It's just Earth Vision is a commercially
18 available software package that uses geologic framework.

19 KNOPMAN: Yeah. No, I have no doubt you can use any
20 number of interpolation models. I'm just trying to
21 understand why you'd use one over another. What basis do
22 you interpolate points when you have that few and then
23 most of them seem to be, you know, along kind of a
24 transect there. I don't know how you go laterally from

1 those, I don't know what the basis is for the--

2 PETERS: Well, for example, you--

3 KNOPMAN: How do you interpolate it, extrapolate--

4 PETERS: Well, you also use somewhat your geologic
5 knowledge. You know in these kind of set sequences that
6 there's very rarely significant lateral thickness
7 variations. Okay? You're extending away from the caldera
8 in this direction. From here to there, you don't expect
9 it to go from that thick up to that thick because you also
10 have understanding of the overall geology of the area.

11 So, you're using some sort of geologic reasoning to make
12 sure that the output makes sense. You've got a surface
13 geologic map and you've got exposures of the sections to
14 also confirm that. So, I mean, as much as it might look
15 like magic, I mean you've got a lot of other controls on
16 it that allow you to make sure that it makes sense.

17 KNOPMAN: But, is it fair to say that there was some
18 surprise involved when the cross drift was constructed as
19 to where exactly the contacts were, and as a consequence,
20 we now have a lot more of the repository in the lower lith
21 than was imagined before the cross drift?

22 PETERS: Actually, if you go back--the results of
23 those predictions versus what we actually saw were
24 presented probably in January or maybe the meeting prior

1 and the earlier version of the geologic framework model
2 predicted where we thought we'd see the contacts. And, if
3 you look at vertical, how far were we off vertical, it was
4 within a couple meters. So, it depends on how bad you
5 want to--I'd say that's pretty good.

6 KNOPMAN: Okay. I don't mean to be giving you a hard
7 time. I'm just trying to figure it out as to how you
8 infer from your existing base of knowledge to get what, I
9 think, misleadingly shows a tremendous amount of detail
10 and differentiation on a--that's just my view.

11 PETERS: What I wanted you all to understand here is
12 this is our understanding and this is the data that we'll
13 use to understand what the distribution is under the
14 block. I think it was important for you to know that.

15 KNOPMAN: Okay. Alberto?

16 SAGÜÉS: So, really, there's only like about eight
17 boreholes in the proposed repository footprint, roughly?

18 PETERS: There's none in the repository footprint
19 except for SD-6. All the rest are outside the repository
20 footprint, the block.

21 SAGÜÉS: Uh-huh. Okay. Maybe I cannot see the scale
22 very well there. It would look like--are those inside the
23 repository or--

24 PETERS: No, the repository is actually pretty--you

1 can delineate the repository pretty much by those
2 boreholes.

3 SAGÜÉS: Okay. So, then, really, the information
4 inferred for the repository footprint comes from points
5 that are--all of the data is coming from points outside
6 the repository footprint?

7 PETERS: Just outside the block.

8 SAGÜÉS: Uh-huh. And, that particular color map has
9 not taken into account information derived from the cross
10 drift, right?

11 PETERS: Well, the cross drift doesn't get into the
12 Calico.

13 SAGÜÉS: Okay.

14 PETERS: The cross drift is just to the Topopah. So,
15 the Topopah data is in there, but that's stratigraphically
16 above the sets up here in the cutaway.

17 SAGÜÉS: All right. Now, if you were to use a
18 different commercial software program, would the--for
19 example, that little white spot in the middle of the--

20 PETERS: I think they're all the same. Well, it's
21 all basically the same interpolation scheme.

22 SAGÜÉS: I see, okay. The question I had originally--
23 -

24 KNOPMAN: Excuse me, Alberto, I'm sorry, but they're

1 not all the same. You can choose many, many different
2 models for interpolation that will give very different
3 results.

4 PETERS: Okay.

5 KNOPMAN: Okay.

6 PETERS: Mark Tynan, did you want to add something?

7 TYNAN: I'm not tall enough. Can you hear me? I
8 guess, it's fair to say that you are very correct. The
9 only way we can determine beyond a reasonable doubt what
10 the zeolite content of any part of the Calico is is to dig
11 it out. So, what are the--how much do we have to do?
12 And, there's a couple of observations that aren't
13 perfectly clear from this. We did not have a summation of
14 the percent of zeolites top to bottom through the Calico
15 to present you. That probably would have been a little
16 bit more enlightening.

17 But, two things that you do see about the Calico
18 is the distribution of the zeolitized materials is more
19 common towards the north and towards the east. And, as
20 you go down through the section, at the base of the
21 section, there's more zeolite; and at the very top, it
22 appears to be there's a little bit more zeolite. The
23 zeolite maps were constructed in a complex manner like
24 everything else in the program, but it was done by

1 essentially unit and they were done from available core
2 data, the available geophysical data where you can tie the
3 geophysics to the core, and then extrapolate it to a
4 percent of zeolite based on the geophysical response, too.

5 So, where we had core information added to that, you
6 produce this.

7 If there's an infinite number of ways to present
8 this information, I don't think that's wrong, but there's
9 some limitations on how far we can go with the information
10 that we have. But for a reasonable representation of the
11 distribution of the zeolites by unit which is what they
12 did within the Calico, it's fairly good. It's fairly
13 representative to the extent that we can do that.

14 Now, whether or not, let's say, there's a fault
15 that controls the zeolitization in the west from the
16 north-south drift or something else, you really can't
17 tell. But, are these rapid dropoffs, are they gradual?
18 You know, the only way we can tell is to completely drill
19 the area. But, ultimately, it probably doesn't make a big
20 difference. I think you'd have to look at the total unit
21 content of what it looks like and that's still to come
22 another month or so down the road before we can discuss
23 that in any detail.

24 KNOPMAN: Okay.

1 PETERS: It's really on how you handle the Calico in
2 the PA, as well, in the process model of the PA; where you
3 are in terms of conserved and bounding as to whether the
4 information--it gets back to how much are we going to use
5 Busted Butte information in the SR.

6 KNOPMAN: Okay. Again, I apologize for jumping on
7 you about this, but it is a point that we've been puzzling
8 about because there are important results that come out of
9 Busted Butte, but they become less important or difficult
10 to deal with if we don't understand what's going on in the
11 repository block.

12 Priscilla?

13 SAGÜÉS: Excuse me, my original question was
14 something different. But, really quickly, on the EBS
15 pilot-scale testing in your Slide 39, what is the main
16 objective of this? Surely, it's not to drip water on hot
17 stainless steel by itself because, you know, a lot of that
18 could be inferred from just steam properties and the like.
19 Is it the backfill effect; what's the main objective?

20

21 PETERS: There's no backfill. Primarily, one of the
22 big issues is to address whether you're going to get
23 wetting in the invert and any condensation on the
24 underside of the drip shield dripping onto the mock waste

1 package. So, it's without backfill looking at the
2 response of the drop shield as it drains and any potential
3 condensation on the underside. The next test canister
4 will be to--there will be backfill emplaced over top of
5 the drip shield and that will be the next test that will
6 be conducted. Similar dripping again. That will then
7 overlay the impact of backfill.

8 SAGÜÉS: I see. So, it's really what comes from the
9 effect of the crushed tuff and the like. Are they doing
10 any modeling on this just based on--

11 PETERS: Yes, they're doing predictive model--let me
12 back up. We're measuring properties of the crushed tuff,
13 as we have with all the backfills in the lab and then
14 they're also doing predictive modeling of the response to
15 this using at least three or four different conceptual
16 models and then comparing that to what they actually see.

17 KNOPMAN: Any further questions from the Board or the
18 staff?

19 (No response.)

20 KNOPMAN: Dan, did you have a question?

21 BULLEN: Oh, no.

22 KNOPMAN: No, okay. Mark, thank you very much. It
23 was an excellent overview of a lot of material in a short
24 amount of time.

1 PETERS: You're welcome.

2 KNOPMAN: We're going to now turn to our public
3 comment period in one minute. Just stand by.

4 (Pause.)

5 COHON: Sorry about that, but it's the curse of cell
6 phones. You've all been there. If we didn't have them,
7 we wouldn't have interruptions like this.

8 We have one person who signed up to speak.
9 That's Walter who will pronounce his last name for me when
10 he comes to the microphone. Walter? Sorry, I couldn't
11 read your writing. If you could identify yourself?

12 MATYSKIELA: My name is Walter Matyskiela and I'm a
13 consultant. I've been doing some work for the State of
14 Nevada. I happened to hand Dr. Parizek a copy of a paper
15 that I'd written a year or two ago which looked at a
16 natural analogue for the most important physical process
17 that the waste is going to impose on the mountain which is
18 the heat. Most of what natural analogues people have
19 talked about are relatively insignificant compared to
20 what--have little to say about what the heat is going to
21 do to the mountain and the fundamental issue is the silica
22 mobility.

23 As we're aware, the mountain is 80 percent silica
24 and it turns out most of the silica in the mountain is in

1 a metastable state; in other words, it's not well
2 crystallized. It didn't crystallize slowly; it
3 crystallized very rapidly. For example, the vitric gas is
4 an extremely soluble silica mineral. The cristobolite
5 which constitutes 10 percent of the Topopah Springs, for
6 example, is extremely soluble. It has very high
7 dissolution rates.

8 The paper that Dr. Parizek referred to looked at
9 the effect of a small sill that was intruding into a tuff
10 that was very similar to the Yucca Mountain tuff. In
11 fact, one of the units there is the Paintbrush Tuff. It's
12 a non-welded vitric tuff. But, there is also a
13 devitrified tuff there and we looked at what the effect of
14 the heat was on the silica minerals in the tuffs that were
15 around the intrusion. We inferred that there was a
16 significant amount of water moving in the fractures and
17 the water carried some silica around and if we distributed
18 it and put it in places where we might not want it to go,
19 you were worried about isolating waste in the repository,
20 for example.

21 Most recently--I've left some abstracts out in
22 the table in front and outside in the hallway--we figured
23 out how this happens if the silica minerals get so rapidly
24 dissolved in the water that's moving. Everybody

1 understands that the heat mobilizes the water out of the
2 pores and it condenses somewhere. Most people, I think,
3 initially, five years ago, would have told you that the
4 water was going to just disappear. It was going to go
5 away. Don't think about it anymore. That doesn't happen.

6 What happens is it goes someplace where it's cooler and
7 it condenses and then it trickles down. As it's trickling
8 down the fractures, the connection between the pores and
9 the tuff and the rapid movement of the water in the
10 fracture allows the large surface area of the tuff pores
11 to provide a huge dissolution surface for the silica
12 minerals which have high dissolution rates, anyway.

13 So, essentially, what you do is you can saturate
14 water with slowing in a fracture over a distance of about
15 one meter. Start with distilled water, one meter down,
16 that water is now completely saturated for whatever
17 temperature it happens to be flowing at with silica which
18 means that you're sucking silica out of the pores of the
19 rock quite rapidly. So, you're going to deplete--you
20 know, open up the pore sizes high up and you're going to
21 move that silica somewhere down below the mountain,
22 wherever it goes. But, if you really worried about
23 adsorption, for example, of radionuclides below the
24 repository--this would be one of your key isolation

1 mechanisms--you really should think about what all that
2 silica is going to do as it migrates downgradient and runs
3 across cooler temperatures with saturated solutions of
4 silica. I would guess that's probably going to come out a
5 solution and coat most of those porous areas of the Calico
6 Hills that you were just looking at for so long and make
7 them unavailable for adsorption even if they were going to
8 be available for adsorption to begin with.

9 So, I think there's some real issues about moving
10 the silica around in the mountain because of the heat.
11 This coupled process that most people have not paid much
12 attention to, I think there's probably some reason that
13 you ought to pay more attention to it.

14 And, my name is pronounced Matyskiela. I just
15 wanted to stand up here and correct my name.

16 PARIZEK: Yeah, I apologize for not saying it.

17 MATYSKIELA: That's okay.

18 PARIZEK: You told me how to say it and I forgot. I
19 apologize for that.

20 MATYSKIELA: Anyway, I'm done unless anybody has a
21 question.

22 COHON: Thank you very much.

23 Are there any other comments or questions from
24 anybody?

1 (No response.)

2 COHON: Anybody want to talk about the difference
3 between SR and LA?

4 (No response.)

5 COHON: No? Okay. We stand adjourned for today.
6 We'll reconvene tomorrow at 9:00 o'clock sharp. Thank you
7 to all of our speakers and all of our participants. Thank
8 you.

9 (Whereupon, the meeting was recessed, to reconvene
10 9:00 a.m. on Wednesday, September 15, 1999.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

